

1 PLACE: Via Videoconference  
2 DATE: Tuesday, September 21, 2021  
3 TIME: 1:30 p.m - 2:40 p.m.  
4 DOCKET NO: E-2, Sub 1273  
5 BEFORE: Commissioner ToNola D. Brown-Bland, Presiding  
6 Chair Charlotte A. Mitchell  
7 Commissioner Lyons Gray  
8 Commissioner Daniel G. Clodfelter  
9 Commissioner Kimberly W. Duffley  
10 Commissioner Jeffrey A. Hughes  
11 Commissioner Floyd B. McKissick, Jr.  
12  
13

14 IN THE MATTER OF:

15 Application of Duke Energy Progress, LLC,  
16 Pursuant to N.C.G.S. § 62-133.9 and  
17 Commission Rule R8-69 for Approval of  
18 Demand-Side Management and  
19 Energy Efficiency Cost Recovery Rider  
20

21 VOLUME: 2  
22  
23  
24

1 A P P E A R A N C E S:

2 FOR DUKE ENERGY PROGRESS, LLC:

3 Kendrick Fentress, Esq.

4 Associate General Counsel

5 Duke Energy Corporation

6 Post Office Box 1551 / NCRH 20

7 Raleigh, North Carolina 27602

8

9 FOR CAROLINA UTILITY CUSTOMERS ASSOCIATION, INC.:

10 Marcus W. Trathen, Esq.

11 Craig D. Schauer, Esq.

12 Brooks Pierce

13 150 Fayetteville Street, Suite 1700

14 Raleigh, North Carolina 27601

15

16 FOR CAROLINA INDUSTRIAL GROUP FOR FAIR UTILITY

17 RATES, II:

18 Christina Cress, Esq.

19 Bailey & Dixon, L.L.P.

20 434 Fayetteville Street, Suite 2500

21 Raleigh, North Carolina 27601

22

23

24

NORTH CAROLINA UTILITIES COMMISSION

1 A P P E A R A N C E S (Cont'd.):

2 FOR NORTH CAROLINA JUSTICE CENTER, NORTH CAROLINA  
3 HOUSING COALITION, and THE SOUTHERN ALLIANCE FOR CLEAN  
4 ENERGY:

5 David L. Neal, Esq.

6 Senior Attorney

7 Tirrill Moore, Esq.

8 Associate Attorney

9 Southern Environmental Law Center

10 601 West Rosemary Street, Suite 220

11 Chapel Hill, North Carolina 27516

12

13 FOR THE USING AND CONSUMING PUBLIC:

14 Nadia Luhr, Esq.

15 Public Staff - North Carolina Utilities Commission

16 4326 Mail Service Center

17 Raleigh, North Carolina 27699-4300

18

19

20

21

22

23

24

NORTH CAROLINA UTILITIES COMMISSION

1	T A B L E O F C O N T E N T S	
2	E X A M I N A T I O N S	
3		PAGE
4	ROBERT P. EVANS	
5	Direct Examination by Ms. Fentress .....	13
6	Examination by Commissioner Brown-Bland .....	51
7	Examination by Commissioner McKissick .....	58
8	Examination by Commissioner Brown-Bland .....	60
9		
10	PREFILED TESTIMONY OF SHANNON R. LISTEBARGER ...	62
11		
12	FOREST BRADLEY-WRIGHT	
13	Direct Examination by Mr. Moore .....	83
14		
15	DAVID M. WILLIAMSON	
16	Direct Examination by Ms. Luhr .....	134
17	Examination by Commissioner Brown-Bland .....	164
18		
19	PREFILED TESTIMONY OF MICHAEL C. MANESS .....	166
20		
21	ROBERT P. EVANS and LYNDIA SLEIGHER SHAFER (Rebuttal)	
22	Direct Examination by Ms. Fentress .....	191
23	Examination by Commissioner Hughes .....	224
24	Examination by Ms. Fentress .....	226

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

## E X H I B I T S

## IDENTIFIED/ADMITTED

Evans Exhibits 1 - 12 .....	15/61
Evans Exhibits A - D .....	15/61
Evans Supplemental Exhibit E .....	15/61
Listebarger's Exhibits 1 - 6 .....	62/62
Exhibits FBW-1 - FBW-11 .....	84/134
Williamson Appendix A .....	134/165
Williamson Exhibits 1 & 2 .....	135/165
Maness Appendices A & B .....	166/166
Evans Rebuttal Exhibit 1 .....	194/---
DEP - SACE, NCJC, NCHC Redirect Exhibit 1 .	229/229
DEP Application .....	---/230

1 P R O C E E D I N G S :

2 COMMISSIONER BROWN-BLAND: Good afternoon.  
3 Let's come to order and go on the record. I am  
4 Commissioner ToNola D. Brown-Bland with the North  
5 Carolina Utilities Commission, Presiding Commissioner  
6 for this hearing.

7 With me this afternoon are: Chair Charlotte  
8 A. Mitchell, and Commissioners Lyons Gray, Daniel G.  
9 Clodfelter, Kimberly W. Duffley, Jeffrey A.

10 I now call for hearing Docket Number E-2,  
11 Sub 1273, In the Matter of Application of Duke Energy  
12 Progress, LLC's annual review for Approval of  
13 Demand-Side Management and Energy Efficiency Cost  
14 Recovery Rider, Pursuant to G.S. 62-133.9 and  
15 Commission Rule R8-69.

16 G.S. 62-133.9 establishes the procedure for  
17 cost recovery of Demand-Side Management hereafter, DSM  
18 and Energy Efficiency hereafter EE expenditures.  
19 G.S. 62-133.9(d) provides for an annual DSM/EE Rider  
20 for electric public utilities to recover all  
21 reasonable and prudent costs incurred and appropriate  
22 incentives for adoption and implementation of new DSM  
23 and EE measures.

24 On June 15th, 2021, Duke Energy Progress,

NORTH CAROLINA UTILITIES COMMISSION

1 LLC, hereafter, (DEP or Applicant) filed its  
2 application for approval of the DSM and EE Cost  
3 Recovery Rider pursuant to G.S. 62-133.9 along with  
4 the direct testimony and exhibits of Robert P. Evans  
5 and Shannon R. Listebarger in support of the  
6 application.

7 On July 7th, 2021, the Commission issued an  
8 order scheduling hearing requiring filing of  
9 testimony, establishing discovery guidelines, and  
10 requiring public notice.

11 The Order scheduled the hearing in this  
12 docket for today, Tuesday, September 21, 2021 at  
13 10:00 a.m. following the hearing in DEP's annual fuel  
14 charge adjustment proceeding.

15 Based on timely petitions to intervene in  
16 this docket, the following parties were allowed to  
17 intervene by Order of the Commission:  
18 North Carolina Sustainable Energy Association, NCSEA,  
19 Carolina Utility Customer's Association, Inc., CUCA,  
20 Carolina Industrial Group for Fair Utility Rates II,  
21 (CIGFUR II), and jointly the Southern Alliance for  
22 Clean Energy.

23 The North Carolina Justice Center and the  
24 North Carolina Housing Coalition, hereafter the Joint

1 Intervenor. The intervention and participation of  
2 the Public Staff was recognized pursuant to G.S.  
3 62-15(d) and Commission Rule R1-19(e).

4 On August 11th, 2021, DEP filed a  
5 supplemental direct testimony of Robert P. Evans.  
6 On August 26, 2020, the Public Staff filed the  
7 testimony exhibits of Michael C. Maness and David M.  
8 Williamson.

9 On August 31st, 2021, the Chair of the  
10 Commission issued an Order scheduling remote hearings,  
11 noting that the public hearing portion of this  
12 proceeding and the other annual Rider proceedings  
13 would be held as initially scheduled and noticed at  
14 10:00 a.m. in the Commission hearing room, but that  
15 the expert witness hearing in this docket would be  
16 held remotely by the Webex platform following the  
17 expert witness hearing, the Company's Fuel Adjustment  
18 proceeding scheduled to begin at 10:30 a.m.

19 The Order required all parties to file a  
20 consent to remote hearings, which all parties to this  
21 proceeding have done.

22 On September 16th 2021, DEP filed rebuttal  
23 testimony and exhibits of Robert P. Evans and Lynda  
24 Sleighter Shafer.

1           On September 17th, 2021, DEP and the Public  
2 Staff filed a joint motion to excuse certain witnesses  
3 from the expert hearing, and DEP filed their

4           Also on September 17th, the Commission  
5 issued an order changing the time for the expert  
6 witness hearing in DEP's annual rider proceedings,  
7 which include this proceeding; and therefore, this  
8 proceeding is set for 1:30 p.m., which is the time  
9 that we all gathered here.

10           On September 20, 2021, Presiding  
11 Commissioner granted the Movant's motion to excuse DEP  
12 witness Shannon R. Listebarger and Public Staff  
13 witness Michael C. Maness, and provided that the  
14 excused witness's testimony and exhibits would be  
15 received into evidence at this hearing.

16           On September 20, 2021, DEP filed affidavits  
17 of publication of public notice in compliance with the  
18 Commission's order.

19           In compliance with the requirement of  
20 Chapter 163(a) of the State Government Ethics Act, I  
21 remind the Members of the Commission of our  
22 responsibility to avoid conflicts of interest, and I  
23 inquire, at this time, whether any Member has any  
24 known conflict of interest with respect to the matter

1 before us at this time.

2 (No response)

3 COMMISSIONER BROWN-BLAND: The record will  
4 reflect that no conflicts have been identified. I now  
5 call for appearances of counsel, beginning with the  
6 Applicant.

7 MS. FENTRESS: Good afternoon, Madam Chair  
8 and Commissioners. My name is Kendrick Fentress. I'm  
9 appearing on behalf of Duke Energy Progress.

10 COMMISSIONER BROWN-BLAND: Glad you could  
11 finally get here, Ms. Fentress.

12 MS. FENTRESS: Me too.

13 COMMISSIONER BROWN-BLAND: I'll move to the  
14 Intervenors, the Joint Intervenors.

15 MR. MOORE: Good afternoon, Commissioner  
16 Brown-Bland. This is Tirrill Moore appearing on  
17 behalf of the North Carolina Justice Center, the North  
18 Carolina Housing Coalition, and the Southern Alliance  
19 For Clean Energy. I'm joined today by David Neal as  
20 well.

21 COMMISSIONER BROWN-BLAND: Welcome,  
22 Mr. Moore and Mr. Neal. Mr. Moore, you were a little  
23 bit choppy on the audio, so just watch that for me.  
24 And CIGFUR?

1 MS. CRESS: Yes. Good afternoon,  
2 Commissioner Brown-Bland. This is Christina Cress  
3 appearing for CIGFUR II.

4 COMMISSIONER BROWN-BLAND: Good afternoon.  
5 The NCSEA? NCSEA not in attendance. CUCA?

6 MR. SCHAUER: Good afternoon. Craig Schauer  
7 appearing on behalf of CUCA.

8 COMMISSIONER BROWN-BLAND: Thank you,  
9 Mr. Schauer. And Public Staff?

10 MS. LUHR: Good afternoon. This is Nadia  
11 Luhr with the Public Staff, appearing on behalf the  
12 Use and Consuming Public.

13 COMMISSIONER BROWN-BLAND: Is there anyone  
14 else needing to make an appearance? I see, for the  
15 record, that the Commission was informed that NCSEA  
16 could not be present today due to a conflict. Are  
17 there any preliminary matters that need to be  
18 addressed prior to the beginning of the hearing?

19 COMMISSIONER CLODFELTER: Commissioner  
20 Brown-Bland?

21 COMMISSIONER BROWN-BLAND: Yes. Who's  
22 speaking?

23 COMMISSIONER CLODFELTER: Ms. Fentress, if  
24 you could lower the blinds behind you, we might be

1 able to see your face better.

2 MS. FENTRESS: Thank you. We'll take care  
3 of that. Is that better?

4 COMMISSIONER BROWN-BLAND: Pretty much.  
5 Thank you. Thank you for that, Commissioner  
6 Clodfelter. There being no preliminary matters, we'll  
7 go ahead, and the case is with the Applicant.

8 MS. FENTRESS: Thank you, Commissioner  
9 Brown-Bland. We would like to begin by calling Bob  
10 Evans to the stand.

11 MR. EVANS: I'm going to try to move this to  
12 peter away so we could -- so it gets both of us into  
13 the picture.

14 COMMISSIONER BROWN-BLAND: We see you both.  
15 Thank you.

16 MR. EVANS: Okay. Thank you.

17 MS. FENTRESS: I call Mr. Evans to the stand  
18 for his direct testimony.

19 COMMISSIONER BROWN-BLAND: Thank you,  
20 Ms. Fentress.

21 MS. FENTRESS: And also Ms. Shafer for  
22 rebuttal.

23 ROBERT P. EVANS;  
24 having been duly affirmed,

1 testified as follows:

2 COMMISSIONER BROWN-BLAND: Ms. Fentress.

3 MS. FENTRESS: Thank you.

4 DIRECT-EXAMINATION BY MS. FENTRESS:

5 Q Mr. Evans, can you state your name and business  
6 address, for the record, please.

7 A My name is Robert P. Evans, and my business  
8 addressing 410 South Wilmington Street in  
9 Raleigh, N.C. 27601.

10 Q And Mr. Evans, did you cause to be prefiled--oh,  
11 I'm sorry. Can you state your position at Duke  
12 Energy?

13 A Sure. I'm employed by Duke Energy Corporation as  
14 Senior Manager, Strategy and Collaboration in the  
15 Carolinas and its Integrated Grid Strategy and  
16 Solutions Group.

17 Q Thank you. And Mr. Evans, did you cause to be  
18 filed, in this case, on June 15th, 2021 direct  
19 testimony of 27 pages and Exhibits 1 through 12  
20 and A through D?

21 A Yes, I did.

22 Q And Mr. Evans, did you also cause to be prefiled,  
23 on August 11th, 2021, supplemental testimony of  
24 three pages and Supplemental Exhibit E?

1 A Yes.

2 Q Do you have any changes or corrections to your  
3 prefiled direct testimony?

4 A No, I do not.

5 Q Do you have any changes or corrections to your  
6 prefiled supplemental testimony?

7 A No changes.

8 Q And if I were to ask you the same questions as  
9 written in your prefiled direct testimony today,  
10 on the stand, would your answers be the same?

11 A Yes, they would be.

12 Q And if I were to ask you the same questions in  
13 your prefiled direct testimony today, would your  
14 answers be the same?

15 A They would be the same.

16 MS. FENTRESS: Madam Chair, I would ask  
17 that Mr. Evans' prefiled direct and supplemental  
18 testimony, and exhibits, be entered into the record as  
19 if given orally from the stand.

20 COMMISSIONER BROWN-BLAND: That motion will  
21 be allowed, and Mr. Evans' direct prefiled and  
22 supplemental direct prefiled testimony will be  
23 received into the record as if given orally from the  
24 witness stand, and the exhibits will be marked as they

1 were identified when prefiled or identified if they  
2 were marked when prefiled.

3 MS. FENTRESS: Thank you.

4 (WHEREUPON, Evans Exhibits 1-12  
5 and Evans Exhibits A-D and Evans  
6 Supplemental Exhibit E are marked  
7 for identification as prefiled.)

8 (WHEREUPON, the prefiled direct  
9 and direct supplemental testimony  
10 of ROBERT P. EVANS is copied into  
11 the record as if given orally  
12 from the stand.)  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

STATE OF NORTH CAROLINA  
UTILITIES COMMISSION  
RALEIGH

DOCKET NO. E-2, SUB 1273

BEFORE THE NORTH CAROLINA UTILITIES COMMISSION

In the Matter of )  
Application of Duke Energy Progress, LLC )  
for Approval of Demand-Side Management )  
and Energy Efficiency Cost Recovery Rider )  
Pursuant to N.C. Gen. Stat. § 62-133.9 and )  
Commission Rule R8-69 )

**DIRECT TESTIMONY OF**  
**ROBERT P. EVANS**  
**FOR**  
**DUKE ENERGY PROGRESS, LLC**

OFFICIAL COPY

Oct 06 2021

**I. INTRODUCTION AND PURPOSE**

1   **Q.   PLEASE STATE YOUR NAME, BUSINESS ADDRESS, AND**  
2   **POSITION WITH DUKE ENERGY.**

3   A.   My name is Robert P. Evans, and my business address is 410 S. Wilmington  
4       Street, Raleigh, North Carolina 27601. I am employed by Duke Energy  
5       Corporation (“Duke Energy”) as Senior Manager-Strategy and Collaboration  
6       for the Carolinas in the Integrated Grid Strategy & Solutions group.

7   **Q.   PLEASE BRIEFLY STATE YOUR EDUCATIONAL BACKGROUND**  
8   **AND EXPERIENCE.**

9   A.   I graduated from Iowa State University (“ISU”) in 1978 with a Bachelor of  
10       Science Degree in Industrial Administration and a minor in Industrial  
11       Engineering. As a part of my undergraduate work, I participated in graduate  
12       level regulatory studies programs sponsored by American Telephone and  
13       Telegraph Corporation, as well as graduate level study programs in Engineering  
14       Economics. Subsequent to my graduation from ISU, I received additional  
15       Engineering Economics training at the Colorado School of Mines, completed  
16       the National Association of Regulatory Utility Commissioners Regulatory  
17       Studies program at Michigan State, and completed the Advanced American Gas  
18       Association Ratemaking program at the University of Maryland. Upon  
19       graduation from ISU, I joined the Iowa State Commerce Commission (now  
20       known as the Iowa Utility Board (“IUB”)) in the Rates and Tariffs Section of  
21       the Utilities Division. During my tenure with the IUB, I held several positions,  
22       including Senior Rate Analyst in charge of Utility Rates and Tariffs and

1 Assistant Director of the Utility Division. In those positions, I provided  
2 testimony in gas, electric, water, and telecommunications proceedings as an  
3 expert witness in the areas of rate design, service rules, and tariff applications.  
4 In 1982, I accepted employment with City Utilities of Springfield, Missouri, as  
5 an Operations Analyst. In that capacity, I provided support for rate-related  
6 matters associated with the municipal utility's gas, electric, water, and sewer  
7 operations. In addition, I worked closely with its load management and energy  
8 conservation programs. In 1983, I joined the Rate Services staff of the Iowa  
9 Power and Light Company, now known as MidAmerican Energy, as a Rate  
10 Engineer. In this position, I was responsible for the preparation of rate-related  
11 filings and presented testimony on rate design, service rules, and accounting  
12 issues before the IUB. In 1986, I accepted employment with Tennessee-  
13 Virginia Energy Corporation (now known as the United Cities Division of  
14 Atmos Energy) as Director of Rates and Regulatory Affairs. While in this  
15 position, I was responsible for regulatory filings, regulatory relations, and  
16 customer billing. In 1987, I went to work for the Virginia State Corporation  
17 Commission in the Division of Energy Regulation as a Utilities Specialist. In  
18 this capacity, I worked on electric and natural gas issues and provided testimony  
19 on cost of service and rate design matters brought before that regulatory body.  
20 In 1988, I joined North Carolina Natural Gas Corporation ("NCNG") as its  
21 Manager of Rates and Budgets. Subsequently, I was promoted to Director-  
22 Statistical Services in NCNG's Planning and Regulatory Compliance  
23 Department. In that position, I performed a variety of work associated with

1 financial, regulatory, and statistical analysis and presented testimony on several  
2 issues brought before the North Carolina Utilities Commission  
3 (“Commission”). I held that position until the closing of NCNG’s merger with  
4 Carolina Power and Light Company, the predecessor of Progress Energy, Inc.  
5 (“Progress”), on July 15, 1999.

6 From July 1999 through January 2008, I was employed in Principal and  
7 Senior Analyst roles by the Progress Energy Service Company, LLC. In these  
8 roles, I provided NCNG, Progress Energy Carolinas, Inc. (now Duke Energy  
9 Progress, LLC (“DEP” or the “Company”)), and Progress Energy Florida, Inc.  
10 with rate and regulatory support in their state and federal venues. From 2008  
11 through the merger of Duke Energy and Progress, I provided regulatory support  
12 for demand-side management (“DSM”) and energy efficiency (“EE”)  
13 programs. Subsequent to the Progress merger with Duke Energy, I obtained  
14 my current position.

15 **Q. HAVE YOU PREVIOUSLY PROVIDED TESTIMONY IN MATTERS**  
16 **BROUGHT BEFORE THIS COMMISSION?**

17 A. Yes. I have provided testimony to this Commission in matters concerning  
18 revenue requirements, avoided costs, cost of service, rate design, and the  
19 recovery of costs associated with DSM/EE programs and related accounting  
20 matters.

21 **Q. WHAT ARE YOUR CURRENT RESPONSIBILITIES?**

22 A. I am responsible for the regulatory support of DSM/EE programs in North  
23 Carolina for both DEP and Duke Energy Carolinas, LLC (“DEC”).

1   **Q.    WHAT IS THE PURPOSE OF YOUR TESTIMONY IN THIS**  
2   **PROCEEDING?**

3   A.    The purpose of my testimony is to explain and support DEP's proposed  
4       DSM/EE Cost Recovery Rider and Experience Modification Factor ("EMF").  
5       My testimony provides: (1) a discussion of items the Commission specifically  
6       directed the Company to address in this proceeding; (2) an overview of the  
7       Commission's Rule R8-69 filing requirements; (3) a synopsis of the DSM/EE  
8       programs included in this filing; (4) a discussion of program results; (5) an  
9       explanation of how these results have affected DSM/EE rate calculations; (6)  
10      information on DEP's Evaluation Measurement & Verification ("EM&V")  
11      activities; and (7) an overview of the calculation of the Portfolio Performance  
12      Incentive ("PPI").

13   **Q.    PLEASE DESCRIBE THE EXHIBITS ATTACHED TO YOUR**  
14   **TESTIMONY.**

15   A.    Evans Exhibit 1 supplies load impacts, program costs, and avoided costs for  
16       each program, which are used in the calculation of the PPI and revenue  
17       requirements by vintage. Evans Exhibit 2 contains a summary of net lost  
18       revenues for the period January 1, 2017 through December 31, 2022. Evans  
19       Exhibit 3 contains the actual program costs for North Carolina for the period  
20       January 1, 2016 through December 31, 2020. Evans Exhibit 4 contains the  
21       found revenues used in the net lost revenues calculations. Evans Exhibit 5  
22       supplies evaluations of event-based programs. Evans Exhibit 6 contains  
23       information about the results of DEP's programs and a comparison of actual

1 impacts to previous estimates. Evans Exhibit 7 contains the projected program  
2 and portfolio cost-effectiveness results for DEP's approved programs. Evans  
3 Exhibit 8 contains a summary of 2020 program performance and an explanation  
4 of the variances between the expected program results and the actual results.  
5 Evans Exhibit 8 is designed to create more transparency regarding the factors  
6 that have driven these variances. Evans Exhibit 9 lists DEP's industrial and  
7 large commercial customers that have opted out of participation in the  
8 Company's DSM and/or EE programs and also lists those customers that have  
9 elected to participate in new measures after having initially notified the  
10 Company that they declined to participate, as required by Commission Rule R8-  
11 69(d)(2). Evans Exhibit 10 provides a summary of the estimated activities and  
12 timeframe for completion of EM&V by program. Evans Exhibit 11 provides  
13 the actual and expected dates when the EM&V for each program or measure  
14 will become effective. Evans Exhibit 12 provides a table showing program cost  
15 and avoided costs savings for the test period ending December 31, 2020 and for  
16 the previous five test periods.

17 Evans Exhibits A through D provide detailed EM&V reports, completed  
18 or updated since DEP's DSM/EE Cost Recovery Rider Filing in Docket No. E-  
19 2, Sub 1252, for the following programs: Revised Save Energy and Water Kits  
20 2018–2019 (Evans Exhibit A); Multi-Family Energy Efficiency Program 2017  
21 – 2018/19 (Evans Exhibit B); Non-Residential Smart Saver Prescriptive  
22 Program Evaluation Report 2017 - 2018 (Evans Exhibit C); and 2020 EM&V  
23 Interim Report for the EnergyWise Business Program (Evans Exhibit D).

1   **Q.     WERE EVANS EXHIBITS 1-12 PREPARED BY YOU OR AT YOUR**  
2       **DIRECTION AND SUPERVISION?**

3   A.     Yes, they were.

4               **II.     ACTIONS ORDERED BY THE COMMISSION**

5   **Q.     PLEASE DESCRIBE THE ACTIONS THE COMMISSION DIRECTED**  
6       **DEP TO TAKE IN THE COMMISSION’S ORDER IN DOCKET NO. E-**  
7       **2, SUB 1252.**

8   A.     In its December 17, 2020 *Order Approving DSM/EE Rider and Requiring*  
9       *Filing of Proposed Customer Notice* in Docket No. E-2, Sub 1252 (“Sub 1252  
10       Order”), the Commission ordered that: (1) DEP shall continue to leverage its  
11       Collaborative to discuss the EM&V issues and program design issues raised in  
12       the testimony of North Carolina Justice Center, et al. witness Bradley-Wright  
13       and those discussions shall be reported; (2) That DEP and the Collaborative  
14       shall discuss the issue of an appropriate way to reflect the full avoided capacity  
15       of its EE programs including avoided reserve capacity and present those  
16       findings to the Commission; and (3) That continuing in 2021, the combined  
17       DEC/DEP Collaborative shall meet every other month. In addition, the  
18       Commission directed DEP to provide it with other information that will be  
19       covered later in my testimony.

20   **Q.     DID DEP CONTINUE TO LEVERAGE THE COLLABORATIVE TO**  
21       **DISCUSS ISSUES RAISED BY WITNESS BRADLEY-WRIGHT?**

22   A.     Yes. The Collaborative met for formal meetings in January, March, May, July,  
23       September and November. Between meetings, interested stakeholders joined

1 conference calls in February, April, May, August, October, and December to  
2 zero in on certain agenda items or priorities that could not be fully explored  
3 during the regular meetings.

4 **Q. HAS THE COLLABORATIVE EXAMINED THE REASONS FOR THE**  
5 **FORECASTED DECLINE IN SAVINGS AND EXPLORED OPTIONS**  
6 **FOR PREVENTING OR CORRECTING A DECLINE IN FUTURE**  
7 **DSM/EE SAVINGS?**

8 A. The forecasted decline in savings underpinned all the Collaborative's  
9 discussions in 2020. Since the decline is attributed primarily to the changing  
10 lighting standards and widespread adoption of LEDs, the members made  
11 bringing the Company new program ideas a priority. The Company is actively  
12 investigating several of those ideas to determine if they can be developed into  
13 cost-effective programs now or in the future.

14 **Q. HAS THE COLLABORATIVE LOOKED SPECIFICALLY AT EE**  
15 **PROGRAMS TO ASSIST LOW-INCOME CUSTOMERS IN SAVING**  
16 **ENERGY, PARTICULARLY IN LIGHT OF THE FINANCIAL**  
17 **HARDSHIPS CREATED BY THE ONGOING PANDEMIC?**

18 A. Yes, the Collaborative has suggested several ideas for expanding or modifying  
19 our current programs to assist low-income households. Members have helped  
20 to develop partnerships with organizations that provide weatherization  
21 assistance and have expressed interest in exploring more opportunities in the  
22 coming year. Several of the program ideas they submitted have aspects that can  
23 target low-income customers as well.

1           The Collaborative spent time last year looking specifically at each program and  
2           how it could adapt to the challenges presented by the pandemic. The group will  
3           continue to examine customer behaviors and potential adjustments to the  
4           program portfolio as conditions change.

5   **Q.   DID DEP AND THE COLLABORATIVE DISCUSS THE ISSUE OF AN**  
6           **APPROPRIATE WAY TO REFLECT THE FULL AVOIDED**  
7           **CAPACITY INCLUDING AVOIDED RESERVE CAPACITY?**

8   A.   Yes. At its January 29th Collaborative Meeting, the Company shared its  
9           proposed methodology to calculate the Reserve Margin Adjustment Factor  
10          ("RMAF") to be applied to Vintage 2022, as well as the underlying facts  
11          substantiating the amount. No parties voiced disagreement with the proposed  
12          RMAF or the factual substantiation for the RMAF.

13   **Q.   IS THE COMPANY PROPOSING TO APPLY A RESERVE MARGIN**  
14          **ADJUSTMENT FACTOR TO THE AVOIDED CAPACITY VALUES**  
15          **ASSOCIATED WITH ENERGY EFFICIENCY SAVINGS IN ITS**  
16          **APPLICATION?**

17   A.   Yes.

18   **Q.   WHAT INFORMATION DOES THE COMPANY BELIEVE**  
19          **SUBSTANTIATES THE RMAF THAT IT IS PROPOSING TO APPLY**  
20          **TO THE 2022 AVOIDED CAPACITY ASSOCIATED WITH ENERGY**  
21          **EFFICIENCY SAVINGS?**

1 A. The Company believes that the following four facts substantiate and support the  
2 RMAF that it is proposing be applied to the capacity savings associated with  
3 energy efficiency savings in the projection of Vintage 2022.

4 1. The Company's Integrated Resource Plan included a 17% reserve margin  
5 to be applied to supply-side resources.

6 2. EE measures included in the Company's DSM portfolio are assigned Peak  
7 kilowatt ("KW") reductions, subject to validation through routine EM&V.

8 3. The Avoided Capacity Rate to be applied in the valuation of these Peak  
9 KW reductions complies with the methodology approved in the 2020 Sub  
10 1032 Order, issued on October 20, 2020.

11 4. The approved Avoided Capacity Rate as described above includes a  
12 Performance Adjustment Factor ("PAF") of 1.05, and the PAF is intended  
13 to represent an estimated Equivalent Forced Outage Rate ("EFOR").

14 **Q. GIVEN THESE FACTS, WHAT IS THE MAGNITUDE OF THE RMAF**  
15 **THAT THE COMPANY IS PROPOSING BE APPLIED TO ITS**  
16 **PROJECTION OF VINTAGE 2022?**

17 A. The Company is proposing to apply an 11.429% RMAF to the capacity savings  
18 associated with energy efficiency programs.

19 **Q. CONTINUING IN 2021, WILL THE DEC/DEP COLLABORATIVE**  
20 **MEET EVERY OTHER MONTH?**

21 A. Yes.

22 **Q. DID THE COMMISSION DIRECT THE COMPANY TO PROVIDE**  
23 **INFORMATION ON ANY OTHER ITEMS?**

1 A. In addition to the ordered items, the Commission requested additional  
2 information on a variety of topics.

3 **Q. HAS THE COMPANY ANALYZED THE COST-EFFECTIVENESS**  
4 **SCORES FOR ITS DISTRIBUTION SYSTEM DEMAND RESPONSE**  
5 **(“DSDR”) PROGRAM?**

6 A. Yes. The Company has determined that the TRC and UCT cost-effectiveness  
7 scores are both 1.121. In addition, the present value of DSDR Program net  
8 benefits is approximately \$36,626,000.

9 **Q. HAS THE COMPANY MADE ANY CHANGES TO ITS ANNUAL**  
10 **RATIOS OF ALLOCATIONS BETWEEN DSDR AND NON-DSDR**  
11 **EQUIPMENT?**

12 A. Yes. The Company reviews the allocation ratios annually each summer and  
13 implements any necessary updates the following year. The Company reviewed  
14 2019 units during the summer of 2020 and determined that the capacitor  
15 allocation ratio should be reduced from 20.48 to 20.35 percent, and the  
16 allocation ratio applied to regulators was reduced from 78.56 to 77.64 percent.  
17 The 2020 units will be reviewed this summer, and any further changes will be  
18 communicated to the Public Staff and implemented on January 1, 2022.

19 **Q. PLEASE EXPLAIN HOW THE COMPANY WILL DISTINGUISH PEAK**  
20 **DEMAND AND ENERGY SAVINGS BETWEEN THE GRID**  
21 **IMPROVEMENT PROGRAM (“GIP”) AND DSM/EE PROGRAMS.**

22 A. As GIP is implemented, any impacts on DSM/EE programs will show up in the  
23 individual DSM and EE program EM&V results. The EM&V process is

1 important as the GIP's impacts could vary by type of measure and, as such,  
2 from program to program. Only the DEP DSDR to Conservation Voltage  
3 Reduction ("CVR") Conversion program within the GIP is anticipated to result  
4 in demand and energy savings impacts.

5 In response to the Commission's April 16, 2021 *Order Accepting Stipulations*,  
6 *Granting Partial Increase and Requiring Customer Notice* in Docket No. E-2,  
7 Sub 1219, the Company is working to (1) determine the amount of peak  
8 reduction capacity that will be lost due to the conversion and propose a method  
9 of replacing that lost capacity in Docket No. E-100, Sub 165 (the Integrated  
10 Resource Plan or "IRP" docket); (2) file in the IRP docket and Docket No. E-  
11 2, Sub 926 (Sub 926) a revised DSDR-to-CVR conversion cost-benefit analysis  
12 that incorporates the cost of replacing any lost peak reduction capacity; and (3)  
13 file an updated report in the IRP docket and Sub 926 that estimates CVR's  
14 anticipated capital and O&M costs, peak reduction, and energy savings for the  
15 next 10 years. DEP plans to file this information by August 1, 2021.

16 **Q. PLEASE PROVIDE A LIST OF GIP PROJECTS THAT HAVE BEEN**  
17 **IMPLEMENTED AND EXPLAIN HOW THOSE PROJECTS HAVE**  
18 **AFFECTED THE PERFORMANCE OF THE COMPANY'S DSM/EE**  
19 **PORTFOLIO.**

20 A. In 2020, the Company began a programmatic approach to implementing the  
21 GIP projects. Of the various components associated with the GIP, only the  
22 DSDR to CVR Conversion program is anticipated to impact the performance  
23 of the Company's DSM/EE portfolio. Since the DSDR to CVR Conversion

1 program has not yet occurred, there is no effect on the performance of the  
2 Company's DSM/EE portfolio at this time.

3 The Capacity component of the Self Optimized Grid ("SOG") program  
4 includes reconductoring power lines to larger size wires to accommodate two-  
5 way power flow. An additional benefit of this upgrade includes reduced line  
6 losses on the distribution circuitry. Those efficiencies from SOG along with  
7 efficiencies gained from other maintenance activities on the distribution system  
8 are captured in periodic line loss studies. DSM/EE uses the line loss in its  
9 analysis; therefore, SOG creates no additional impact.

10 **Q. DID THE COMPANY FILE A CORRECTED EM&V ANALYSIS OF**  
11 **ITS SAVE ENERGY AND WATER KIT MEASURES?**

12 A. Yes. A revised Save Energy and Water Kit evaluation report was submitted  
13 with this filing as Evans Exhibit A.

14 **Q. WHAT ACTIONS ARE BEING TAKEN TO MAINTAIN OR IMPROVE**  
15 **THE COST EFFECTIVENESS OF THE COMPANY'S RESIDENTIAL**  
16 **SMART SAVER PROGRAM?**

17 A. In its efforts to maintain the cost effectiveness of this program, the Company  
18 will further differentiate between referred and non-referred measures. This  
19 differentiation will impact incentives and will be implemented with input from  
20 the Collaborative using existing flexibility guidelines.

- 1                               **III.     RULE R8-69 FILING REQUIREMENTS**
- 2     **Q.     PLEASE PROVIDE AN OVERVIEW OF THE INFORMATION DEP IS**
- 3               **PROVIDING IN RESPONSE TO THE COMMISSION'S FILING**
- 4               **REQUIREMENTS.**
- 5     A.     The information for this filing is provided pursuant to the Commission's filing
- 6               requirements contained in R8-69(f)(1) and can be found in my testimony and
- 7               exhibits, as well as the testimony and exhibits of Company witness Shannon R.
- 8               Listebarger as follows:

<b>R8-69(f)(1)</b>		<b>Items</b>	<b>Location in Testimony</b>
(i)		Projected NC retail sales for the rate period	Listebarger Exhibit 6
(ii)		For each measure for which cost recovery is requested through DSM/EE rider:	
(ii)	a.	Total expenses expected to be incurred during the rate period	Evans Exhibit 1
(ii)	b.	Total costs savings directly attributable to measures	Evans Exhibit 1
(ii)	c.	EM&V activities for the rate period	Evans Exhibit 10 and 11
(ii)	d.	Expected summer and winter peak demand reductions	Evans Exhibit 1
(ii)	e.	Expected energy reductions	Evans Exhibit 1
(iii)		Filing requirements for DSM/EE EMF rider, including:	
(iii)	a.	Total expenses for the test period in the aggregate and broken down by type of expenditure, unit, and jurisdiction	Evans Exhibit 3
(iii)	b.	Total avoided costs for the test period in the aggregate and broken down by type of expenditure, unit, and jurisdiction	Evans Exhibit 1
(iii)	c.	Description of results from EM&V activities	Testimony of Robert Evans and Evans Exhibits A-D
(iii)	d.	Total summer and winter peak demand reductions in the aggregate and broken down per program	Evans Exhibit 1
(iii)	e.	Total energy reduction in the aggregate and broken down per program	Evans Exhibit 1
(iii)	f.	Discussion of findings and results of programs	Testimony of Robert Evans and Evans Exhibit 6
(iii)	g.	Evaluations of event-based programs	Evans Exhibit 5
(iii)	h.	Comparison of impact estimates from previous year and explanation of significant differences	Testimony of Robert Evans and Evans Exhibits 6 and 8
(iv)		Determination of utility incentives	Testimony of Robert Evans and Evans Exhibit 1

(v)	Actual revenues from DSM/EE and DSM/EE EMF riders	Listebarger Exhibit 3
(vi)	Proposed DSM/EE rider	Testimony of Shannon Listebarger and Listebarger Exhibit 1
(vii)	Projected NC sales for customers opting out of measures	Listebarger Exhibit 6
(viii)	Supporting work papers	Digital medium accompanying filing

1

#### IV. PROGRAM OVERVIEW

2

#### **Q. WHAT ARE DEP'S CURRENT DSM AND EE PROGRAMS?**

3

A. The Company's current DSM and EE programs are as follows:

4

#### **RESIDENTIAL CUSTOMER PROGRAMS**

5

- EE Education Program

6

- Multi-Family EE Program

7

- My Home Energy Report Program

8

- Neighborhood Energy Saver Program

9

- Residential Smart \$aver EE Program

10

- New Construction Program

11

- Load Control Program (EnergyWise)

12

- Save Energy and Water Kit Program (*now part of the EE Appliances and Devices Program*)

13

14

- Energy Assessment Program

15

- Low-Income Weatherization Pay for Performance Pilot Program

16

- Energy Efficient Appliances and Devices Program

**NON-RESIDENTIAL CUSTOMER PROGRAMS**

- Non-Residential Smart \$aver Energy Efficient Products and Assessment Program
- Non-Residential Smart \$aver Performance Incentive Program
- Small Business Energy Saver Program
- CIG Demand Response Automation Program
- EnergyWise for Business

**COMBINED RESIDENTIAL/NON-RESIDENTIAL PROGRAMS**

- Energy Efficient Lighting Program
- DSDR

**Q. PLEASE DESCRIBE ANY UPDATES MADE TO THE UNDERLYING ASSUMPTIONS FOR DEP'S PROGRAMS THAT HAVE ALTERED PROJECTIONS FOR VINTAGE 2022.**

**A.** EM&V results were used to update the savings impacts for those programs for which DEP received EM&V results after it prepared its application in Sub 1206. Updating programs for EM&V results changes the projected avoided cost benefits associated with the projected participation and, hence, impacts the calculation of the specific program and overall portfolio cost-effectiveness, as well as the calculation of DEP's projected shared savings incentive.

**Q. AFTER FACTORING THESE UPDATES INTO DEP'S PROGRAMS FOR VINTAGE 2022, DO THE RESULTS OF DEP'S PROSPECTIVE COST-EFFECTIVENESS TESTS INDICATE THAT IT SHOULD DISCONTINUE OR MODIFY ANY OF ITS PROGRAMS?**

1 A. DEP performed a prospective analysis of each of its programs and the aggregate  
2 portfolio for the Vintage 2022 period. The results of this prospective analysis  
3 are contained in Evans Exhibit 7. This exhibit shows that three programs do  
4 not pass the TRC threshold of 1.0. These programs are: (1) the Neighborhood  
5 Energy Saver Program, which was not cost-effective at the time of Commission  
6 approval (but was approved based on its societal benefits); (2) the Low-Income  
7 Weatherization Pay for Performance Pilot Program; and (3) the EnergyWise for  
8 Business Program. In the aggregate, DEP's portfolio of programs continues to  
9 project cost-effectiveness.

10 The cost-effectiveness of the EnergyWise for Business Program is  
11 obviously a concern for the Company with its 0.28 UCT score. Due to its  
12 performance, the EnergyWise for Business program is being placed in a  
13 maintenance mode where the Company will maintain the current level of  
14 capacity only by replacing lost customers.

15 **V. DSM/EE PROGRAM RESULTS TO DATE**

16 **Q. HOW MUCH ENERGY, CAPACITY AND AVOIDED COST SAVINGS**  
17 **DID DEP DELIVER AS A RESULT OF ITS DSM/EE PROGRAMS**  
18 **DURING VINTAGE 2020?**

19 A. During Vintage 2020, DEP's DSM/EE programs delivered almost 355 million  
20 kilowatt hours ("kWh") of energy savings and over to 314 megawatts ("MW")  
21 of capacity savings, which produced a net present value of avoided cost savings  
22 of over to \$136 million. The 2020 performance results for individual programs  
23 are provided in Evans Exhibits 6 and 8.

1 **Q. DID ANY PROGRAMS SIGNIFICANTLY OUT-PERFORM**  
2 **RELATIVE TO THEIR ORIGINAL ESTIMATES FOR VINTAGE 2020?**

3 A. Yes. In the residential market, two programs did significantly out-perform  
4 compared to their original energy savings estimates: the Energy Efficient  
5 Lighting Program and the Residential My Home Energy Report Program.  
6 When compared to estimates originally filed for Vintage 2020, the programs  
7 exceeded projections by 111 percent and 34 percent, respectively. The Energy  
8 Efficient Lighting Program achieved increases primarily through changes in  
9 participation. The increase in the My Home Energy Report Program resulted  
10 from changes in EM&V related increased savings.

11 The non-residential program with the largest percentage increase in  
12 expected energy savings from those forecasted for 2020 is the EnergyWise for  
13 Business Program. This program produced energy savings that exceeded  
14 DEP's projections by 904 percent. The difference is primarily associated with  
15 EM&V results.

16 **Q. HAVE ANY PROGRAMS SIGNIFICANTLY UNDERPERFORMED**  
17 **RELATIVE TO THEIR ORIGINAL ESTIMATES FOR VINTAGE 2020?**

18 A. Yes. During 2020, most programs underperformed due to the COVID  
19 pandemic.

20 **VI. PROJECTED RESULTS**

21 **Q. PLEASE PROVIDE A PROJECTION OF THE RESULTS THAT DEP**  
22 **EXPECTS TO SEE FROM IMPLEMENTATION OF ITS PORTFOLIO**  
23 **OF PROGRAMS.**

- 1 A. DEP will update the actual and projected DSM/EE achievement levels in its  
 2 annual DSM/EE cost recovery filing to account for any program or measure  
 3 additions based on the performance of programs, market conditions, economics,  
 4 and consumer demand. The actual results for Vintage 2020 and projection of  
 5 the results for the next two years, as well as the associated actual and projected  
 6 program expenses, are summarized in the table below:

DEP System (NC & SC) DSM/EE Portfolio 2020 Actual Results and 2021- 2022 Projected Results			
	2020	2021	2022
Annual System MW	314	473	415
Annual System Net Gigawatt-Hours	355	446	462
Annual Program Costs (Millions)	\$84	\$98	\$105

7 **VII. EM&V ACTIVITIES**

8 **Q. CAN YOU PROVIDE INFORMATION ON THE COMPANY'S EM&V**  
 9 **ACTIVITIES?**

- 10 A. Yes. Evans Exhibit 10 provides a summary of the estimated activities and  
 11 timeframe for completion of EM&V by program. Evans Exhibit 11 provides  
 12 the actual and expected dates of when the EM&V for each program or measure  
 13 will become effective. Evans Exhibits A through D provide the completed  
 14 EM&V reports or updates for the following programs:

Evans Exhibit	EM&V Reports	Report Finalization Date
A	Save Energy and Water Kits 2018 – 2019 (Revised)	04/23/2020
B	Multi-Family Energy Efficiency Program 2017 – 2018/19	4/16/2020

Evans Exhibit	EM&V Reports	Report Finalization Date
C	Non-Residential Smart Saver Prescriptive Program Evaluation Report 2017 - 2018	07/16/2020
D	2020 EM&V Interim Report for the EnergyWise Business Program	02/05/2021

1 **Q. HOW WERE EM&V RESULTS UTILIZED IN DEVELOPING THE**  
2 **PROPOSED RATES?**

3 A. The Company has applied EM&V in accordance with the process approved by  
4 the Commission in its *Order Approving Revised Cost Recovery Mechanism and*  
5 *Granting Waivers*, issued January 20, 2015 in Docket No. E-2, Sub 931 (“Order  
6 Approving Revised Mechanism”).

7 The level of EM&V required varies by program and depends upon that  
8 program’s contribution to the total portfolio, the duration the program has been  
9 in the portfolio without material change, and whether the program and  
10 administration is new and different in the energy industry. DEP estimates,  
11 however, that no additional costs above five percent of total program costs will  
12 be associated with performing EM&V for all measures in the portfolio.

13 **Q. WHICH PROGRAMS CONTAIN IMPACT RESULTS BASED ON**  
14 **CAROLINAS-BASED EM&V?**

15 A. All of the impact results included in the Company’s filing (Evans Exhibits A  
16 through D) are based on Carolinas-based EM&V.

17 **VIII. RATE IMPACTS**

18 **Q. HAVE THE PARTICIPATION RESULTS AFFECTED THE VINTAGE**  
19 **2020 EMF?**

1 A. Yes. The EMF accounts for changes to actual participation relative to the  
2 forecasted participation levels utilized in DEP's 2020 DSM/EE rider. As DEP  
3 receives actual participation information, it is then able to update participation-  
4 driven actual avoided cost benefits and the net lost revenues derived from its  
5 DSM and EE programs. For example, with all other things being equal, for  
6 programs that underperform relative to their original participation targets, the  
7 EMF will be reduced to reflect lower costs, net lost revenues, and shared  
8 savings incentives. On the other hand, higher-than-expected participation in  
9 programs causes the EMF to reflect higher program costs, net lost revenues,  
10 and shared savings incentives. In addition, the EMF is impacted by the  
11 application of EM&V results.

12 **Q. HOW WILL EM&V BE INCORPORATED INTO THE VINTAGE 2020**  
13 **EMF COMPONENT OF ITS RATES?**

14 A. All of the final EM&V results that were received by DEP as of December 31,  
15 2020 have been applied prospectively from the first day of the month  
16 immediately following the month in which the study participation sample for  
17 the EM&V was completed. Accordingly, for any program for which DEP has  
18 received EM&V results, the per participant impact applied to the projected  
19 program participation in Vintage 2022 is based upon the actual EM&V results  
20 that have been received.

21 **Q. HAS THE OPT-OUT OF NON-RESIDENTIAL CUSTOMERS**  
22 **AFFECTED THE RESULTS OF APPROVED PROGRAMS?**

1 A. Yes, the opt-out of qualifying non-residential customers has significantly  
2 impacted DEP's overall non-residential participation and the associated  
3 impacts. For Vintage 2020, DEP had 5,233 eligible customer accounts opt out  
4 of participating in DEP's non-residential portfolio of EE programs and had  
5 5,441 eligible customer accounts opt out of participating in DEP's non-  
6 residential portfolio of DSM programs. This is a decrease from the 5,868 EE  
7 accounts and 5,759 DSM opt-outs reported for 2019. Also during 2020, 23 opt-  
8 out eligible accounts opted-in to the EE portion of the Rider, and 6 opt-out  
9 eligible accounts opted-in to the DSM portion of the Rider.

10 **Q. IS THE COMPANY CONTINUING ITS EFFORTS TO ATTRACT THE**  
11 **PROGRAM PARTICIPATION OF OPT-OUT ELIGIBLE**  
12 **CUSTOMERS?**

13 A. Yes. Increasing the participation of opt-out eligible customers in DSM and EE  
14 programs is very important to the Company. DEP continues to evaluate and  
15 revise its non-residential programs to accommodate new technologies,  
16 eliminate product gaps, remove barriers to participation, and make its programs  
17 more attractive. The Company also continues to leverage its Large Account  
18 Management Team to make sure customers are informed about product  
19 offerings.

20 **IX. NET LOST REVENUES**

21 **Q. IS DEP REQUESTING RECOVERY OF NET LOST REVENUES FOR**  
22 **ALL OF ITS PROGRAMS?**

1 A. No. At this time, DEP is not requesting recovery of net lost revenues for its  
2 DSDR, EnergyWise, or CIG Demand Response Automation programs.

3 **Q. HAS THE COMPANY RECOGNIZED FOUND REVENUES IN ITS**  
4 **CALCULATION OF NET LOST REVENUES?**

5 A. Yes. The recognized found revenues are provided in Evans Exhibit 4.

6 **Q. PLEASE DESCRIBE HOW DEP DETERMINES ITS FOUND**  
7 **REVENUES.**

8 A. Consistent with the Commission's Order Approving Revised Mechanism, DEP  
9 has adopted the "Decision Tree" located in Attachment C of the approved  
10 revised cost recovery mechanism. Consistent with the methodology employed  
11 by DEP, found revenue activities are identified, categorized, and netted against  
12 the net lost revenues created by DEP's EE programs. Found revenues, as  
13 calculated, result from DEP's activities that are perceived to directly or  
14 indirectly result in an increase in customer demand or energy consumption  
15 within DEP's service territory. However, revenues resulting from load-  
16 building activities would not be considered found revenues if they (1) would  
17 have occurred regardless of DEP's activity, (2) were a result of a Commission-  
18 approved economic development activity not determined to produce found  
19 revenues, or (3) were part of an unsolicited request for DEP to engage in an  
20 activity that supports efforts to grow the economy. Additionally, under N.C.  
21 Gen. Stat. § 62-3(23)(n) any increases from customer demand or energy  
22 consumption associated with transportation electrification shall not constitute  
23 found revenues for an electric public utility. DEP also adjusts the calculation

1 of found revenues to account for the impacts of activities outside of DSM/EE  
2 programs that it undertakes that reduce customer consumption – i.e., “negative  
3 found revenues.” Based on the results of this work, all potential found revenue-  
4 related activities are identified and categorized in Evans Exhibit 4.

5 **Q. PLEASE DISCUSS THE ADJUSTMENT THAT DEP MAKES TO ITS**  
6 **FOUND REVENUE CALCULATION TO ACCOUNT FOR NEGATIVE**  
7 **FOUND REVENUES.**

8 A. DEP continues to aggressively pursue, with its outdoor lighting customers, the  
9 replacement of aging Mercury Vapor lights with Light Emitting Diode (“LED”)   
10 fixtures. By moving customers past the standard High-Pressure Sodium  
11 (“HPS”) fixture to an LED fixture in this replacement process, DEP is  
12 generating significant energy savings. Because they come outside of DEP’s EE  
13 programs, these energy savings are not captured in DEP’s calculation of lost  
14 revenues. One of the activities that DEP includes in the calculation of found  
15 revenues is the increase in consumption from new outdoor lighting fixtures  
16 added by DEP; accordingly, it is logical and symmetrical to count the energy  
17 consumption reduction realized in outdoor lighting efficiency upgrades. The  
18 Company does not take credit for the entire efficiency gain from replacing  
19 Mercury Vapor lights, but rather takes credit only from the efficiency gain from  
20 replacing HPS with LED fixtures. Also, DEP has not recognized any negative  
21 found revenues in excess of the found revenues calculated; in other words, the  
22 net found revenues number will never be negative and have the effect of  
23 increasing net lost revenue calculations.

**X. PPI AND PRI CALCULATIONS**

**Q. PLEASE PROVIDE AN OVERVIEW OF THE SHARED SAVINGS RECOVERY MECHANISM APPROVED IN THE ORDER APPROVING REVISED MECHANISM.**

A. Pursuant to the Commission's Order Approving Revised Mechanism, for Vintage Year 2017 and subsequent vintage years, DEP's revised cost recovery mechanism allows it to (1) recover the reasonable and prudent costs incurred for adopting and implementing DSM and EE measures in accordance with N.C. Gen. Stat. § 62-133.9 and Commission Rules R8-68 and R8-69; (2) recover net lost revenues incurred for up to 36 months of a measure's life for DSM and EE programs; and (3) earn a PPI based upon the sharing of a percentage of the net savings achieved through DEP's DSM/EE programs on an annual basis. Prior to 2022, the shared savings percentage is 11.5% and starting in 2022, this percentage is lowered to 10.6%. The PPI is also subject to certain limitations that are set forth in the Cost Recovery and Incentive Mechanism.

**Q. PLEASE EXPLAIN HOW DEP DETERMINES THE PPI.**

A. First, DEP determines the net savings eligible for incentive by subtracting the present value of the annual lifetime DSM/EE program costs (excluding approved low-income programs as described below) from the net present value of the annual lifetime avoided costs achieved through the Company's programs (again, excluding approved low-income programs). The Company then multiplies the net savings eligible for incentive by the applicable shared savings percentage to determine its pre-tax incentive.

1   **Q.     PLEASE EXPLAIN WHETHER DEP EXCLUDES ANY PROGRAMS**  
2       **FROM THE DETERMINATION OF ITS PPI CALCULATION.**

3   A.     Consistent with the Commission's Orders in Docket No. E-2 Sub 931, DEP has  
4       excluded the impacts and costs associated with the Neighborhood Energy Saver  
5       Program and the EE Education Program from its calculation of the PPI. At the  
6       time these programs were approved, they were not cost-effective, but were  
7       approved based on their societal benefit. Beginning in 2022, the Income-  
8       Qualified EE and EE Education programs are eligible to receive a program  
9       return incentive ("PRI"). The PRI is determined by multiplying the net present  
10      value of avoided cost by 10.6 percent. As with the PPI, the PRI is also subject  
11      to certain limitations that are set forth in the Cost Recovery and Incentive  
12      Mechanism approved by the Commission in Docket No. E-2, Sub 931 on  
13      October 20, 2020.

14                                   **XI.    CONCLUSION**

15   **Q.     DOES THIS CONCLUDE YOUR PRE-FILED DIRECT TESTIMONY?**

16   A.     Yes.

STATE OF NORTH CAROLINA  
UTILITIES COMMISSION  
RALEIGH

DOCKET NO. E-2, SUB 1273

BEFORE THE NORTH CAROLINA UTILITIES COMMISSION

In the Matter of	)	
Application of Duke Energy Progress, LLC	)	<b>SUPPLEMENTAL</b>
for Approval of Demand-Side Management	)	<b>TESTIMONY OF</b>
and Energy Efficiency Cost Recovery Rider	)	<b>ROBERT P. EVANS FOR</b>
Pursuant to N.C. Gen. Stat. § 62-133.9 and	)	<b>DUKE ENERGY PROGRESS,</b>
Commission Rule R8-69	)	<b>LLC</b>

---

OFFICIAL COPY

Aug 06 2021

1    **Q.     PLEASE STATE YOUR NAME AND BUSINESS ADDRESS.**

2    A.     My name is Robert P. Evans. My business address is 410 South Wilmington  
3           Street, Raleigh, North Carolina.

4    **Q.     BY WHOM ARE YOU EMPLOYED AND IN WHAT CAPACITY?**

5    A.     I am employed by Duke Energy Corporation (“Duke Energy”) as Senior  
6           Manager-Strategy and Collaboration for the Carolinas in the Regulatory  
7           Strategy Portfolio Analysis and Regulatory Strategy group.

8    **Q.     DID YOU PREVIOUSLY FILE DIRECT TESTIMONY IN SUPPORT**  
9           **OF DUKE ENERGY PROGRESS, LLC’S APPLICATION IN THIS**  
10          **DOCKET?**

11   A.     Yes.

12   **Q.     WHAT IS THE PURPOSE OF YOUR SUPPLEMENTAL TESTIMONY?**

13   A.     The purpose of my supplemental testimony is to provide the Commission with  
14           an exhibit that was inadvertently left out of Duke Energy Progress, LLC’s (the  
15           “Company”) original filing in this proceeding.

16   **Q.     PLEASE DESCRIBE THIS EXHIBIT.**

17   A.     The exhibit, identified as Evans Supplemental Exhibit E, is an EM&V report  
18           associated with the Summer 2019 evaluation, measurement, and verification  
19           (“EM&V”) Report for the Company’s EnergyWise Home Program  
20           (“EnergyWise Home”), a residential demand response program. This EM&V  
21           report was finalized on August 19, 2020.

1    **Q.    WERE ANY OTHER ELEMENTS OF THE COMPANY'S FILING**  
2           **IMPACTED BY THE OMISSION OF THIS EXHIBIT?**

3    A.    No. The omission of this exhibit did not impact any other elements of the  
4           Company's filing.

5    **Q.    DOES THIS CONCLUDE YOUR PRE-FILED SUPPLEMENTAL**  
6           **TESTIMONY?**

7    A.    Yes.

1 BY MS. FENTRESS:

2 Q Mr. Evans, do you have a summary of your direct  
3 and supplemental testimonies?

4 A Yes.

5 Q Can you please present your summary.

6 A Yes. My direct testimony supports DEP's  
7 application for approval of its energy efficiency  
8 and Demand-Side Management cost recovery rider  
9 and Experience Modification Factor, EMF, for  
10 2022, which encompasses the currently effective  
11 cost recovery and incentive mechanism and  
12 portfolio of programs.

13 In particular, my testimony discusses  
14 the Commission directed the Company to address:  
15 An overview of the Commission's filing  
16 requirements; a synopsis of the programs included  
17 in this filing; a discussion of program results,  
18 and an explanation of how these results have  
19 affected DSM/EE rate calculations.

20 Information on the Evaluation,  
21 Measurement & Verification, EM&V, activities; an  
22 overview of the calculation of the Portfolio  
23 Performance Incentive, PPI.

24 I discuss actions that the Commission

1 directed the Company to take in the last rider  
2 proceeding, which includes leveraging the  
3 Collaborative to discuss EM&V and program design  
4 issues, as well as appropriate ways to reflect  
5 full capacity of EE programs.

6 The Collaborative suggested several  
7 ideas for expanding or modifying DEP's current  
8 programs to assist low-income households.

9 And when the Company presented the  
10 proposed methodology to calculate the Reserve  
11 Margin Adjustment Factor, RMAF, to reflect the  
12 full avoided capacity, no Members rejected.

13 DEP is proposing to apply 11.429  
14 percent RMAF to capacity savings associated with  
15 EE programs to be applied to Vintage 2022.

16 My testimony includes a comprehensive  
17 list of DSM and EE programs in the Company's  
18 current portfolio.

19 During Vintage 2020, DEP's DSM and EE  
20 programs delivered almost 355 million  
21 kilowatt-hours of energy savings and over 314  
22 megawatts of capacity savings, which produced a  
23 net present value of avoided costs savings of  
24 close to \$136 million.

1           The approved cost recovery mechanism  
2 allows DEP to recover reasonable and prudent  
3 costs incurred for adopting and implementing DSM  
4 and EE measures; recover net lost revenues  
5 incurred for up to 36 months of the measure's  
6 life for DSM and EE programs, and earn a PPI  
7 based on the sharing of a percentage of net  
8 savings achieved on an annual basis.

9           Prior to 2022, the shared savings  
10 percentage is 11.5 percent. And starting in  
11 2022, this percentage will be lower to 10.6  
12 percent.

13           Updates to underlying assumptions that  
14 materially impact Vintage 2022 portfolio  
15 projections are related to EM&V results and  
16 changes in avoided costs.

17           Although three programs do not pass the  
18 TRC threshold of 1.0, and the Energy Wise for  
19 Business program is being placed in a maintenance  
20 mode, DEP's portfolio of programs continues to be  
21 project cost-effectiveness.

22           The purpose of my supplemental  
23 testimony is to provide an exhibit that was  
24 inadvertently left out of the original filing: An

1 EM&V report for the EnergyWise Home Program,  
2 Summer, 2019.

3 MS. FENTRESS: Thank you, Mr. Evans. Madam  
4 Chair, Commissioners, Mr. Evans is available for  
5 cross-examination on his direct and supplemental  
6 testimony.

7 COMMISSIONER BROWN-BLAND: Ms. Fentress, I  
8 did have a question related to the identification of  
9 the exhibits in the filing. The supplemental  
10 attachment to the supplemental testimony was  
11 identified as an exhibit, I believe, but the prior  
12 convention was by appendix. Should that be in  
13 Appendix E?

14 MS. FENTRESS: I -- it is labeled as Evans  
15 Supplemental Exhibit E when we filed it.

16 COMMISSIONER BROWN-BLAND: Correct. And  
17 then in the direct testimony, the EMV reports were  
18 appendices, I believe. I just want to -- if it does  
19 not matter, we'll leave it for tomorrow.

20 MS. FENTRESS: It does not matter. I  
21 completely understand.

22 COMMISSIONER BROWN-BLAND: Okay.

23 MS. FENTRESS: We can remark this Evans  
24 Supplemental Appendix E.

1 COMMISSIONER BROWN-BLAND: Just for  
2 consistency, let's do that then.

3 MS. FENTRESS: Certainly.

4 COMMISSIONER BROWN-BLAND: The exhibit or  
5 attachment to the supplemental direct testimony will  
6 be identified as Appendix E.

7 The witness is available for cross. And  
8 unless you've all agreed on an order, which no one  
9 informed me, I will start with the Joint Intervenors.  
10 Do you have cross for this witness?

11 MR. MOORE: No questions.

12 COMMISSIONER BROWN-BLAND: CIGFUR, do you  
13 cross for this witness?

14 MS. CRESS: No, Commissioner Brown-Bland.  
15 Thank you.

16 COMMISSIONER BROWN-BLAND: CUCA,  
17 Mr. Schauer?

18 MR. SCHAUER: No questions.

19 COMMISSIONER BROWN-BLAND: And the Public  
20 Staff?

21 MS. LUHR: No questions.

22 COMMISSIONER BROWN-BLAND: Well, the  
23 Commission has some questions. And before I check  
24 with my colleagues, our Staff has provided us some

1 questions that they would like to receive answers to,  
2 so I will begin with those.

3 EXAMINATION BY COMMISSIONER BROWN-BLAND:

4 Q Mr. Evans, the Commission submitted a list of  
5 post-hearing questions in the DEC rider case  
6 pertaining to the way in which the list of Find  
7 It Duke contractors were created. Does DEP use  
8 substantially the same procedures? Was there any  
9 significant differences there?

10 A No, Commissioner. They are basically the same,  
11 and I brought up a Find It Duke as a part of my  
12 rebuttal testimony as well in the proceeding.

13 Q Is there any significant overlap between those  
14 two FID contractors for the two companies?

15 A As far as the contractors themselves, I cannot  
16 tell you if they overlap or not, Commissioner. I  
17 do not know.

18 Q But you would say the guidelines for approving  
19 the contractors, the way the DEP identifies the  
20 recruits, the contractors are similar or --

21 A Yes, they certainly are. Yes, Commissioner.

22 Q Thank you. And what efforts does DEP make to  
23 identify and recruit historically disadvantaged  
24 businesses for participation in FID, and how many

1           historically disadvantaged businesses are  
2           currently participating, if you know?

3       A     Commissioner, I do not know the answer. I do  
4           know that we are now reaching out to our supplier  
5           diversity channels in order to actively recruit  
6           historically disadvantaged businesses, to take a  
7           part -- to be able to partake or work in -- by  
8           the Duke program.

9       Q     Can you provide DEP's data on the number of  
10           historically disadvantaged businesses  
11           participating that are female-owned businesses?  
12           In other words, provide us a breakdown of the  
13           female-owned businesses, minority-owned  
14           businesses, and any other subcategories  
15           describing the nature and the ownership of such  
16           businesses.

17      A     Commissioner, if that information is available,  
18           it will certainly be reported.

19      Q     I think we would ask if it is available,  
20           reasonably available, that you provide it to us  
21           in a late-filed exhibit.

22      A     Yes, Commissioner.

23      Q     What is the total number of businesses that  
24           currently participate in the Find It Duke, and by

1 businesses, I mean contractors?

2 A I can't -- I do not know that number,  
3 Commissioner. I would be glad to provide that  
4 information to you in a separate follow-up  
5 exhibit.

6 Q How does DEP determine the amounts -- the amount  
7 or amounts of the fees that the contractors pay  
8 to participate in the program?

9 A They're based on market conditions.

10 Q Are they paid based on the number of referrals or  
11 the number of --

12 A Yes. They are based on the number of referrals,  
13 yes, Commissioner.

14 Q As separate and apart from -- so it's the larger  
15 number of total referrals or is it the referrals  
16 that lead to work, or some other base?

17 A It's the number of referrals based on -- to the  
18 best of my knowledge, it is on a number of  
19 referrals.

20 Q What steps does the Company take to insure that  
21 participating contractors are usually FID to  
22 obtain energy efficiency improvements, to offer  
23 energy efficiency improvements to rate payers as  
24 opposed to using it to obtain general home

1 improvement work such as plumbing or wiring  
2 repairs?

3 A The program, when it became -- when it started,  
4 was exclusively for DSM/EE-related measures,  
5 primarily EE-related measures, however.

6 The growth into places like solar and  
7 tree trimming was based on customer requests; and  
8 so no, our primary focus is on DSM/EE-related  
9 items.

10 Q So the question is getting at, is there any way  
11 that you monitor what the contractors are doing  
12 to make sure that they are using it for energy  
13 efficiency improvements?

14 A Commissioner, I am unaware of any monitoring  
15 efforts of that type. I wish I could tell you,  
16 but frankly I cannot.

17 Q. Do you know if the Company has data on how  
18 many energy efficient initiatives are installed  
19 due to the program's referrals?

20 A Yes. We have that information. We provided  
21 similar information to the Commission in the DEC  
22 case, and we can do the same with the DEP case.

23 Q We would appreciate that, if you know. And it  
24 may be that you need time, I appreciate that, but

1 if you know or can give us some insight, given  
2 the order in the DEC Docket, E-7, Sub 1249, do  
3 you have initial thoughts for how DEP would  
4 propose to separate out the cost of revenues for  
5 the program if we came to a similar conclusion in  
6 this docket?

7 A We have gone through -- a couple of different  
8 ways. However, we'll be working with the Public  
9 Staff toward a mutually agreed manner in which to  
10 make those allocations, Commissioner.

11 Q Can you provide a breakdown of referrals between  
12 FID requests by DEP customers for  
13 energy-efficient work?

14 A Yes, Commissioner.

15 Q And can you do the same thing for referrals that  
16 result in work done by FID contractors and level  
17 of fees, and the level of fees paid to FID?

18 A Um, I can make certain that we supply you with  
19 that information after the hearing exhibit.

20 Q In 2020, what was DEP's total cost of operating  
21 the FID program?

22 A I do not have that information for DEP,  
23 Commissioner. I'd be glad to provide that  
24 information to you again in a post --

1 Q And, if you can, what are the actual year-to-date  
2 and expected full year cost for 2021? Was there  
3 anything unusual about either of the year 2020 or  
4 2021?

5 A We can supply that information as well.

6 Q Do you have any knowledge about whether there was  
7 something unusual about either year?

8 A I do know in that case, that Covid did impact the  
9 revenues in a negative fashion and portion.

10 Q And so --

11 A Doesn't matter where.

12 Q So that previous question that I just asked was  
13 about the cost, and you anticipated. I was going  
14 to ask the same question pertaining to the  
15 revenues. What are the actual year-to-date and  
16 expected full year revenues for 2021?

17 A I will provide that to you as well, Commissioner.  
18 I'm sorry to have jumped the gun.

19 COMMISSIONER BROWN-BLAND: No. That was  
20 good, to anticipate. Thank you.

21 Q Mr. Evans, in your direct testimony, you  
22 testified to a reduction in the DSDR allocation  
23 ratios. And just for my understanding, was that  
24 reduction a result of more equipment being

1 charged to non-DSDR equipment or has it been the  
2 other direction?

3 A Commissioner, I can't remember off the top of my  
4 head, but I will look at my testimony, and I have  
5 got that information available. I apologize for  
6 thumbing through these.

7 Q That is fine. I apologize -- I had to do the  
8 same, and I apologize for not inviting you to a  
9 page. It is probably a little after page 10, I  
10 would say. I don't have it to --

11 A Okay. On page 11 -- okay. Those percentages  
12 actually were reduced, those allocation factors  
13 in both cases on capacitors and on transformers,  
14 the regulators.

15 Q Correct. And I'm just asking because I don't  
16 follow whether the reduction is because there's  
17 more being charged to non-DSDR. Is that the  
18 direction, the change?

19 A Yes, that is the direction.

20 Q So there's more to non-DSDR?

21 A There's not a significant change, Commissioner.  
22 And as I've seen in the past, it can go both  
23 directions. However, as DSDR changes, it may  
24 change as well in a different manner or more

1           significant jumps or increases or reduction.

2           COMMISSIONER BROWN-BLAND: Thank you. So  
3 are there other questions from the Commissioners? Any  
4 Commissioners have a question for this witness?

5 EXAMINATION BY COMMISSIONER McKISSICK:

6 Q     Commissioner Brown-Bland, I guess there were a  
7       few additional questions along the same line.  
8       And I was just wondering, if you can tell me,  
9       what criteria does DEP apply to determine that a  
10      previously qualified contractor's no longer  
11      qualified to participate in the Find It Duke  
12      Program?

13 A     I cannot tell you that, Commissioner. We will be  
14      glad to provide that information to you now.

15 Q     Okay. And in 2020, do you know what the average  
16      dollar value was that were performed by  
17      historically disadvantaged businesses and the  
18      Find It Duke Program?

19 A     I cannot say that we know that information,  
20      Commissioner.

21 Q     But you can seek to find it?

22 A     Yes. Well, you'll be notified under either set  
23      of circumstances, even if it's available or not  
24      available.

1 Q Okay. And if you could do the same for average  
2 dollar value work performed by contractors that  
3 were not historically disadvantaged businesses,  
4 that would be helpful as well.

5 A Certainly. If I have that information available,  
6 we will certainly provide it to the Commission.

7 Q And in 2020, what was DEP's total cost for  
8 operating the Find It Duke Program?

9 A That information will have to be provided as a  
10 post-hearing exhibit, Commissioner --

11 Q. Okay.

12 A -- at this point in time.

13 Q Sure. And lastly, if you can also, you know, I  
14 guess, identify in 2020 what the total revenue  
15 received from Find It Duke was, you know, as  
16 compared and contrasted to the operating cost,  
17 that would be excellent.

18 If you could submit that, I guess, as a  
19 late-filed exhibit, that would be excellent, and  
20 that would be it, Commissioner Brown-Bland.

21 Thank you.

22 A Thank you, Commissioner.

23 COMMISSIONER BROWN-BLAND: Any other  
24 Commissioners have questions of witness Evans?

1 (No response)

2 COMMISSIONER BROWN-BLAND: Not seeing any,  
3 one more, witness Evans, for you, and this goes back  
4 to Find It Duke.

5 EXAMINATION BY COMMISSIONER BROWN-BLAND:

6 Q Do you know how the referrals are made? That is,  
7 I'm trying to determine if the referrals are made  
8 one service at a time.

9 And so if a customer wanted two to  
10 three different services, they would come back in  
11 and there would be two more referrals, or could  
12 one single customer have a joint referral at one  
13 time. Do you know?

14 A I'd have to provide that as a post-hearing  
15 information, Commissioner.

16 Q All right.

17 A I apologize.

18 Q If you happen to be able to obtain it, I would  
19 just appreciate knowing that.

20 COMMISSIONER BROWN-BLAND: That's all the  
21 questions from the Commissioner's. Are there  
22 questions on Commissioner's questions?

23 (No response)

24 COMMISSIONER BROWN-BLAND: I'm not hearing

1 or seeing that anyone has any questions. So,  
2 Mr. Evans, you may step down at this time.

3 MR. EVANS: Thank you, Commissioner.

4 MS. FENTRESS: Madam Chair, this would  
5 be -- would this be an appropriate time to move  
6 witness list orders, list orders, direct testimony,  
7 and exhibits into the record? I wasn't -- in an  
8 abundance of caution, I'm prepared to do so.

9 COMMISSIONER BROWN-BLAND: Yes, it would be,  
10 but let's get Mr. Evans' exhibits in.

11 MS. FENTRESS: Oh, yes. I would move  
12 Mr. Evans' Exhibits --

13 COMMISSIONER BROWN-BLAND: It would be  
14 Exhibits 1 through 12.

15 MS. FENTRESS: And Appendices A through D  
16 and Supplemental Appendix E. Move that into the  
17 record as --

18 COMMISSIONER BROWN-BLAND: Very well. That  
19 motion is granted and those exhibits are received into  
20 evidence, Exhibits A and Appendices. And now --

21 (WHEREUPON, Evans Direct Exhibits  
22 1-12 and Evans Exhibits A-D, and  
23 Evans Supplemental Exhibit E are  
24 admitted into evidence.)

1 (COURT REPORTER NOTE: Exhibits  
2 were named as they were attached  
3 to the prefiled testimony.)

4 MS. FENTRESS: And then I would also request  
5 to move witness Listebarger's direct testimony and  
6 exhibits, prefiled with the Commission on June 15th,  
7 2021, into the record, and ask that it be admitted  
8 into evidence as if she had given it orally from the  
9 stand.

10 COMMISSIONER BROWN-BLAND: And that motion  
11 is allowed as well.

12 MS. FENTRESS: Thank you.

13 COMMISSIONER BROWN-BLAND: And the  
14 testimony's received as if given orally from the  
15 witness stand. And the exhibits are received and  
16 marked as they've identified as they were marked when  
17 prefiled.

18 MS. FENTRESS: Thank you.

19 (WHEREUPON, Listebarger  
20 Exhibits 1 - 6 are marked for  
21 identification as prefiled and  
22 received into evidence.)

23 (WHEREUPON, the prefiled direct  
24 testimony of SHANNON R

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

LISTEBARGER is copied into the  
record as if given orally from  
the stand.)

STATE OF NORTH CAROLINA  
 UTILITIES COMMISSION  
 RALEIGH

BEFORE THE NORTH CAROLINA UTILITIES COMMISSION

DOCKET NO. E-2, SUB 1273

In the Matter of	)	<b>DIRECT TESTIMONY OF</b>
Application of Duke Energy Progress, LLC	)	<b>SHANNON R. LISTEBARGER</b>
for Approval of Demand-Side Management	)	<b>FOR</b>
and Energy Efficiency Cost Recovery Rider	)	<b>DUKE ENERGY PROGRESS,</b>
Pursuant to N.C. Gen. Stat. § 62-133.9 and	)	<b>LLC</b>
Commission Rule R8-69	)	

---

OFFICIAL COPY

Oct 06 2021

**I. INTRODUCTION AND PURPOSE**

**Q. PLEASE STATE YOUR NAME, BUSINESS ADDRESS AND POSITION WITH DUKE ENERGY CORPORATION.**

A. My name is Shannon R. Listebarger, and my business address is 550 South Tryon Street, Charlotte, North Carolina. I am a Manager, Rates & Regulatory Strategy for Duke Energy Carolinas, LLC (“DEC”), supporting both Duke Energy Progress, LLC (“DEP” or the “Company”) and DEC.

**Q. PLEASE BRIEFLY STATE YOUR EDUCATIONAL BACKGROUND AND EXPERIENCE.**

A. I have a Bachelor of Business Administration from DeVry University and a Master of Business Administration from Keller Graduate School of Management. I began my career in 2001 with American Electric Power. During my time there I held a variety of positions in Corporate Accounting, Regulatory and Financial Forecasting. In 2018, I began working with Duke Energy as a lead load forecast analyst. I joined the Rates Department in 2020 as Manager, Rates and Regulatory Strategy.

**Q. HAVE YOU PREVIOUSLY PROVIDED TESTIMONY IN MATTERS BROUGHT BEFORE THIS COMMISSION?**

A. Yes, I have provided testimony in support of DEP’s previous application for approval of its DSM/EE cost recovery riders in Docket No. E-2, Sub 1252 and DEC’s application for approval of its DSM/EE cost recovery riders in Docket No. E-7, Sub 1249.

**Q. WHAT ARE YOUR CURRENT RESPONSIBILITIES?**

1 A. I am responsible for providing regulatory support for retail rates and providing  
2 guidance on DEC's and DEP's DSM/EE cost recovery process.

3 **Q. WHAT IS THE PURPOSE OF YOUR TESTIMONY?**

4 A. The purpose of my testimony is to explain and support DEP's proposed  
5 DSM/EE cost recovery rider and Experience Modification Factor ("EMF") and  
6 provide information required by Commission Rule R8-69.

7 **Q. PLEASE DESCRIBE THE EXHIBITS ATTACHED TO YOUR**  
8 **TESTIMONY.**

9 A. Listebarger Exhibit 1 provides a summary of the proposed annual rates by  
10 customer class. Listebarger Exhibit 2, pages 1 through 3, shows the calculation  
11 of the DSM and EE rates for the rate period, as well as the breakdown by  
12 program of the various components of the estimated revenue requirement.  
13 Listebarger Exhibit 2, pages 4 through 6, presents the calculation of the DSM  
14 EMF and EE EMF rates for the test period, as well as the breakdown by program  
15 of the various components of the final revenue requirement. Adjustments  
16 resulting from Evaluation, Measurement and Verification ("EM&V") of the  
17 Company's DSM/EE programs are also presented in Listebarger Exhibit 2,  
18 page 7. Listebarger Exhibit 3, pages 1 through 4, calculates the amount of  
19 interest or return due on over- and under-collections for Vintage 2020. Exhibit  
20 4 shows a summary of revenue collected during calendar year 2020 by program  
21 type and customer class. Listebarger Exhibit 5, pages 1 through 7, presents the  
22 allocation factors used in the development of the rider, including the energy  
23 allocation factors applicable to DSM and EE program costs, the North Carolina  
24 and South Carolina retail allocation factors, and the lighting allocation factors.

1 Listebarger Exhibit 6 includes both forecasted 2022 sales from the Spring 2021  
2 forecast and the impact of opt-outs.

3 **Q. WERE LISTEBARGER EXHIBITS 1-6 PREPARED BY YOU OR AT**  
4 **YOUR DIRECTION AND SUPERVISION?**

5 A. Yes.

6 **II. SUMMARY OF DSM/EE COSTS**

7 **Q. CAN YOU PROVIDE A SUMMARY OF THE COSTS FOR WHICH DEP**  
8 **IS REQUESTING RECOVERY IN THIS PROCEEDING?**

9 A. Yes. The DSM/EE costs DEP is requesting to recover through the rates  
10 proposed in this proceeding are associated with the costs incurred during the  
11 test period, as well as the costs forecasted to be incurred during the rate period.  
12 The test period utilized in the development of the DSM/EE EMF is January 1,  
13 2020 through December 31, 2020. The North Carolina allocated share of  
14 recoverable DSM/EE costs for the test period is \$160,435,281. For the rate  
15 period of January 1, 2022 through December 31, 2022, the North Carolina  
16 allocated share of forecasted DSM/EE costs is \$183,344,499. The total North  
17 Carolina allocated share of DSM/EE costs for the test period plus the rate period  
18 is \$343,779,780.

19 A summary of the costs associated with DEP's recovery request by  
20 period and by DSM/EE program/measure is provided in the following table:

Program/Measure	Test Period	Rate Period
	1/1/20 through 12/31/20	1/1/22 through 12/31/22
CIG DR	\$1,379,153	\$2,018,114
EnergyWise	\$16,902,241	\$14,897,321
EnergyWise for Business	\$1,789,006	\$2,331,730
DSDR Implementation	\$19,680,927	\$29,665,823
Residential Home Advantage	\$140,907	\$517
Residential Smart Saver/Home Energy Improvement	\$6,416,860	\$3,744,221
Residential Low Income – NES	\$540,495	\$3,204,041
Energy Efficient Lighting	\$15,422,146	\$10,898,385
Appliance Recycling	\$2,439,918	\$31,968
My Home Energy Report	\$15,595,776	\$15,217,210
Small Business Energy Saver	\$8,965,975	\$14,091,160
Residential New Construction	\$18,110,154	\$16,903,342
Multi-Family EE	\$2,839,491	\$3,586,869
Energy Education Program for Schools	\$598,122	\$1,702,418
Save Energy & Water Kit	\$3,058,899	\$9,103,101
Residential Energy Assessments	\$3,058,060	\$5,203,850
Smart Saver Prescriptive	\$19,453,808	\$22,047,514
Smart Saver Custom	\$4,684,474	\$6,413,357
Smart Saver Performance Incentive	\$388,449	\$667,817
Administrative & General Costs	\$4,974,760	\$6,891,535
Carrying Cost on Balances	\$14,079,746	\$14,746,380
Found Revenue (total)	\$(84,089)	\$(22,173)
Lost Revenue Decrement		
Total Cost	\$160,435,281	\$183,344,499

1 In addition to the summary table above, Listebarger Exhibit 2, page 3,  
2 and Listebarger Exhibit 2, page 6, provide additional categorizations by cost  
3 element.

4 **Q. ARE DEP'S PROPOSED RATES DESIGNED TO RECOVER THE**  
5 **TOTAL NORTH CAROLINA ALLOCATED SHARE OF \$343,779,780?**

6 A. No. Because many of the expenses incurred during the current test period to  
7 develop and implement DEP's DSM/EE programs produce benefits covering  
8 several years, a significant portion of those expenses will be deferred and

1 recovered over varying amortization periods. A summary of the amortization  
 2 periods for program expenses and Program/Portfolio Performance Incentive  
 3 (“PPI”)<sup>1</sup> is shown below:

Length of Amortization Period				
Program Name	Program Cost – batches prior to 2016	Program Cost – 2016 – present	PPI – vintages prior to 2016	PPI – 2016 – present
CIG DR	10	3	10	3
EnergyWise	10	10	10	10
EnergyWise for Business	N/A	3	N/A	1
DSDR Implementation	10	10	N/A	N/A
Residential Home Advantage	10	N/A	10	N/A
Residential Smart Saver/Home Energy Improvement	10	10	10	10
Residential Low Income – NES	10	10	10	10
Energy Efficient Lighting	5	5	10	5
Appliance Recycling	10	10	10	10
My Home Energy Report	1	1	1	1
Residential New Construction	10	10	10	10
CFL Pilot	10	N/A	10	N/A
Solar Hot Water Pilot	10	N/A	10	N/A
Multi-Family EE	5	5	5	5
Energy Education	5	5	5	5
CIG EE	10	3	10	3
Save Water & Energy Kit	N/A	5	N/A	5
Residential Energy Assessments	N/A	5	N/A	5
Small Business Energy Saver	10	3	10	3
Smart Saver Prescriptive	3	3	3	3

<sup>1</sup> As explained further below, for vintages prior to 2016, incentives are calculated on a program basis. Pursuant to the Commission’s *Order Approving Revised Cost Recovery Mechanism and Granting Waivers* issued January 20, 2015 in Docket No. E-2, Sub 931 (“Order Approving Revised Mechanism”), which applies to Vintages 2016 and forward, incentives under the Company’s revised cost recovery mechanism are calculated on a portfolio basis. For ease of reference, I will refer to both incentives as “PPI.”

Length of Amortization Period				
Program Name	Program Cost – batches prior to 2016	Program Cost – 2016 – present	PPI – vintages prior to 2016	PPI – 2016 – present
Smart \$aver Performance	3	3	3	3
Smart \$aver Custom	3	3	3	3
Admin. & General	3	3	3	N/A

In addition to the aforementioned deferrals, DEP's proposed rates include the recognition and amortization of prior period deferrals. In total, the EMF-related calculations based on test period costs reflect an estimated under-recovery of \$12,551,970. The DSM/EE rate calculations associated with rate period estimates are based on a revenue requirement of \$177,186,661. The rate period and EMF revenue requirements produce a combined revenue requirement of \$189,738,629. Listebarger Exhibit 2, pages 1 and 2, and Listebarger Exhibit 2, pages 4 and 5, detail the calculation of these amounts.

### III. EMF REVENUE REQUIREMENT

**Q. HOW WAS THE DSM/EE EMF UNDER-RECOVERY OF \$12,551,970 DETERMINED?**

A. The EMF under-recovery is a function of the sum of test period costs, including amounts relating to the amortization of deferred costs from prior periods, and credits for actual DSM/EE rider revenues for the period January 1, 2020 through December 31, 2020. The following table illustrates the relationship of these elements with respect to the determination of the DSM/EE EMF:

Rate Element	Amounts
Test Period Revenue Requirement	\$166,226,042
Net DSM/EE Rate Revenue	\$154,802,417
Add: Other Adjustments	(\$1,128,344)
Total EMF Adjustments	\$153,674,073
Adjusted DSM/EE EMF Revenue Requirement	\$12,551,970

1 Listebarger Exhibit 2, pages 4 through 7, provides additional details  
2 associated with the development of these amounts.

3 **Q. PLEASE DESCRIBE THE (\$1,128,344) THAT HAS BEEN**  
4 **CATEGORIZED AS “OTHER ADJUSTMENTS.”**

5 A. The (\$1,128,344) in “Other Adjustments” is the sum of lines 2 through 8 on  
6 page 7 of Listebarger Exhibit 2. Line 2 is reserved for potential prospective  
7 uncollectible allowances in DEP’s DSM/EE rates. DEP is not requesting a  
8 prospective uncollectible adjustment as a part of its cost recovery request in this  
9 proceeding. However, the actual uncollectibles experienced in test period 2020  
10 exceeded amounts recovered in base rates; therefore, the incremental portion  
11 associated with EE billings has been included on Line 3. In addition, the  
12 adjustments found on lines 4 through 7 reflect the true-up of PPI for Vintage  
13 2019 and net lost revenues for 2017, 2018 and 2019 vintage. The last of these  
14 adjustments, found on line 8, recognizes estimated interest owed to customers  
15 for revenue over- collections and interest owed to the Company for revenue  
16 under-collections during the period extending from January 1, 2020 through  
17 December 31, 2020. The Direct Testimony of Company witness Robert P.  
18 Evans provides further detail on program-specific impacts to PPI and net lost  
19 revenues.

20 **IV. RATE PERIOD REVENUE REQUIREMENT**

21 **Q. PLEASE DESCRIBE THE BASIS FOR THE RATE PERIOD REVENUE**  
22 **REQUIREMENT.**

23 A. As indicated previously, the estimated revenue requirement for the rate period  
24 is \$177,186,661. This amount reflects the anticipated costs and necessary

1 recoveries for the rate period, which extends from January 1, 2022 through  
2 December 31, 2022. The \$177,186,661 revenue requirement includes: (1)  
3 \$24,462,595 for anticipated rate period program expenses; (2) amortizations  
4 and carrying costs associated with deferred prior period costs totaling  
5 \$74,888,773; (3) recovery of Distribution System Demand Response (“DSDR”)  
6 depreciation and capital costs totaling \$23,864,734; (4) net lost revenues for the  
7 rate period totaling \$36,418,070 for vintage years 2019 through 2022; and (5)  
8 PPI totaling \$17,552,489 associated with vintage years 2013 through 2022. In  
9 addition, under the Commission’s October 20, 2020 *Order Approving Revisions*  
10 *to Demand-Side Management and Energy Efficiency Cost Recovery*  
11 *Mechanisms*, issued by the Commission in Docket Nos. E-2, Sub 931 and E-7,  
12 Sub 1032 (the “2020 Sub 1032 order”), beginning in 2022, the Income-  
13 Qualified EE and Weatherization programs are eligible to receive a Program  
14 Return Incentive (“PRI”) based on shared savings achieved by these programs.  
15 Witness Evans’ testimony provides additional information on this matter.

16 **V. JURISDICTIONAL COST ALLOCATION**

17 **Q. HOW ARE DSM AND EE PROGRAM COSTS ALLOCATED TO THE**  
18 **NORTH CAROLINA RETAIL JURISDICTION?**

19 **A.** DEP determines the total amount of recoverable costs and separates these costs  
20 into three categories: (1) DSM-related costs, (2) EE-related costs, and (3) costs  
21 that provide a system benefit in support of both DSM and EE programs. For  
22 each of these categories, different allocation methods are employed to assign  
23 those costs to the appropriate jurisdiction.

1   **Q.    HOW ARE COSTS IDENTIFIED AS EE-RELATED ALLOCATED TO**  
2   **NORTH CAROLINA?**

3   A.   Any program costs that are identified as being EE-related, including  
4       administrative and general (“A&G”) costs, are allocated to the North Carolina  
5       retail jurisdiction based upon the ratio of North Carolina retail sales to DEP  
6       system retail sales at the point of generation. For calendar year test periods  
7       beginning in year 2016, the allocation percentage for the entire calendar year  
8       test period is based on the latest cost of service study available at the time of  
9       filing.

10   **Q.   HOW ARE DSM-RELATED COSTS ALLOCATED TO NORTH**  
11   **CAROLINA?**

12   A.   Any program costs that are identified as being DSM-related, including A&G  
13       costs, are allocated to the North Carolina retail jurisdiction based upon the ratio  
14       of the North Carolina retail demand to the DEP system retail demand at the hour  
15       of the annual summer system peak. For calendar year test periods beginning in  
16       year 2016, the allocation percentage for the entire calendar year test period is  
17       based on the latest cost of service study available at the time of filing.

18   **Q.   PLEASE ELABORATE ON THE METHODOLOGY USED TO**  
19   **ALLOCATE DSM/EE COSTS THAT OFFER A SYSTEM BENEFIT.**

20   A.   Certain A&G costs provide a system benefit in support of both DSM and EE  
21       programs and, therefore, are allocated in both categories. The allocation of  
22       these costs into either the DSM or EE category is based upon the percentage of  
23       program costs for each type of expenditure anticipated during the next forecast  
24       calendar year. For example, if 30% of direct program costs in the forecast

period are EE-related, then 30% of these A&G costs will be considered EE-related costs for allocation purposes. The use of a forecast period recognizes the types of new programs DEP will offer in the immediate future that will be supported by these administrative costs. The assignment of A&G costs as either DSM- or EE- related is reviewed annually based upon forecasted program costs for the next calendar year. The A&G costs in this proceeding have been assigned to these categories based upon forecasted DSM and EE costs for 2022.

**Q. IN LISTEBARGER EXHIBIT 2, PAGE 3, AND LISTEBARGER EXHIBIT 2, PAGE 6, THE DSDR PROGRAM IS SEPARATED FROM THE OTHER DSM/EE PROGRAMS. HOW IS THE DSDR PROGRAM CLASSIFIED?**

A. The DSDR program has been classified by the Commission, for purposes of ratemaking, as an EE program. Due to the scope and nature of DSDR, its costs are being tracked separately. This separate tracking includes both direct costs and A&G costs associated with the program.

## **VI. UTILITY INCENTIVES AND NET LOST REVENUES**

**Q. HOW ARE THE PPI AND PRI CALCULATED?**

A. The PPI is calculated pursuant to the *Order Approving Revised Mechanism* and is based on the savings achieved by the portfolio of PPI-eligible DSM/EE programs. Under the terms of the *Order Approving Revised Mechanism*, the amount of PPI to be recovered during the rate period is 11.75 percent of the net benefits produced by the portfolio of PPI-eligible programs prior to 2022. Pursuant to the related 2020 Sub 1032 Order and other orders in Docket No. E-7, Sub 1032, starting in 2022, this percentage is lowered to 10.6%. Estimated

1 net savings for all periods are determined by multiplying the number of  
2 measurement units projected to be installed for a specific program or measure  
3 in a vintage year by the most current estimate of the annual per installation  
4 kilowatt (“kW”) and kilowatt-hour (“kWh”) savings over the measurement  
5 unit’s life and by the annual kW and kWh avoided costs. DEP then subtracts  
6 the estimated utility costs over the measurement unit’s life related to the  
7 projected installations in that vintage year and discounts the result to determine  
8 a net present value.

9 The PPI for each program vintage is converted into a stream of up to ten  
10 levelized annual payments. DEP’s overall weighted average net-of-tax rate of  
11 return approved in DEP’s most recent general rate case is used as the  
12 appropriate discount rate. Pursuant to the *Order Approving Revised*  
13 *Mechanism*, PPI recoveries are subject to true-up on the basis of future EM&V  
14 results. PPI calculations are based on calendar year vintages. The PPI vintage  
15 assigned to the test period in this filing encompasses calendar year 2020. These  
16 values will be trued-up on the basis of future EM&V results. The estimated PPI  
17 for the rate period used in this filing is based on calendar year 2022 and will be  
18 trued-up as a part of DEP’s 2023 DSM/EE cost recovery proceeding. In  
19 addition, as discussed above, Income-Qualified EE and Weatherization  
20 programs are eligible to receive a PRI beginning in 2022. Company witness  
21 Evans further describes the specifics of the PPI and PRI calculations in his  
22 testimony. Please see Evans Exhibit 1 for additional detail by program.

23 **Q. HOW WERE NET LOST REVENUES DETERMINED?**

1     A.     The Company determines net lost revenues, which are applicable to both DSM  
2           and EE programs, by multiplying the estimated reduction in kWh sales  
3           associated with a program or measure by a margin-based net lost revenue rate.  
4           The following formula illustrates the basic components of the net lost revenue  
5           calculations: Net Lost Revenues (\$) = Lost Sales (kWh) x Net Lost Revenue  
6           Rate (\$/kWh).

7                 Lost Sales are those sales that do not occur as a result of implementation  
8           of DEP DSM/EE measures. These values are initially based on engineering  
9           estimates and/or past impact evaluations. Future periods are based on updated  
10          impact evaluations resulting from EM&V activities and are applied  
11          prospectively and in conjunction with applicable net lost revenue true-ups. The  
12          Net Lost Revenue rate represents the difference between the average retail rate  
13          applicable to the customer class impacted by the measure and the sum of (1) the  
14          embedded regulatory fees, (2) the related average customer charge component  
15          of that rate, (3) the average fuel component of the rate, and (4) the incremental  
16          variable operations and maintenance rate as filed in DEP's last Cogeneration  
17          and Small Power Producer tariff. When multiple customer classes are impacted  
18          by a DSM/EE measure, as with the DSDR program, a weighted or system-wide  
19          net lost revenue rate is employed.

20                 Pursuant to the *Order Approving Revised Mechanism*, DEP may only  
21          recover net lost revenues for up to 36 months of an installed measure's life, and  
22          as with the PPI, recoveries are subject to true-up on the basis of future EM&V  
23          results.

1 Residential and non-residential lost revenues associated with  
2 participants enrolled during the test period, twelve months ending December  
3 31, 2018, extended to May 31, 2020, of the Company's general rate case  
4 proceeding, Docket No. E-2, Sub 1219, have been adjusted based on specific  
5 enrollment dates, and a portion of these lost revenues have been removed from  
6 the prospective period as of September 1, 2020 and included in interim base  
7 rates.

8 **Q. HAVE EXCESS DEFERRED INCOME TAXES RESULTING FROM**  
9 **THE TAX CUTS AND JOBS ACT BEEN INCORPORATED INTO THE**  
10 **CALCULATION OF NET LOST REVENUES?**

11 A. The final order in the general rate case, issued April 16, 2021 in Docket No. E-  
12 2, Sub 1219 (the "Final Order"), directed DEP to refund certain amounts owed  
13 to customers related to excess deferred income taxes ("EDIT"), resulting from  
14 the reduction in federal corporate income taxes according to the Tax Cuts and  
15 Jobs Act, through a reduction in base rates rather than through a rider. The  
16 refunded amounts are the "protected" EDIT amounts, generally related to  
17 Property, Plant and Equipment, for which there are specific ratemaking  
18 requirements prescribed by the Internal Revenue Service. Lost revenue rates  
19 for 2020 have been trued up to reflect the Final Order, and the projected 2022  
20 lost revenue rates also reflect the Final Order.

21 **VII. COST ALLOCATION METHODOLOGY**

22 **Q. HOW ARE DSM- AND EE-RELATED COSTS ALLOCATED TO EACH**  
23 **RATE CLASS?**

1 A. Costs are assigned to customer classes based on program design and  
2 participation. In other words, residential program costs are allocated solely to  
3 residential customers, general service program costs are allocated solely to  
4 general service customers, and lighting program costs are allocated solely to  
5 lighting customers. Where programs benefit multiple customer groups, the  
6 costs are allocated directly to groups receiving benefits or by employing annual  
7 energy- and/or coincident peak demand-based allocation factors.

8 Listebarger Exhibit 2, pages 1 and 2, and Listebarger Exhibit 2, pages 4  
9 and 5, demonstrate how the costs associated with a specific program have been  
10 assigned to customer groups.

11 **Q. HOW ARE SALES AND DEMAND ADJUSTED FOR THE IMPACT OF**  
12 **OPT-OUT CUSTOMERS?**

13 A. Commercial customers with annual consumption of 1,000,000 kWh or greater  
14 in the billing months of the prior calendar year and all industrial customers who  
15 implement or will implement alternative DSM/EE measures may elect not to  
16 participate in DEP's DSM and/or EE programs. DEP reviewed its customer  
17 records and identified that commercial and industrial customers choosing to opt  
18 out of EE programs consumed 11,746,852,167 kWh during the year ended  
19 December 31, 2020. In addition, DEP identified that commercial and industrial  
20 customers choosing to opt out of DSM programs consumed 11,772,985,490  
21 kWh during the year ended December 31, 2020.

22 DEP developed rate class allocation factors based on the assumption  
23 that customers that have elected to opt out of the Company's DSM/EE rider will

1 remain opted out. If customers decide to change their opt-out status, revenue  
2 gains or losses will be recognized in subsequent DSM/EE EMF calculations.

3 Sales for the year ended December 31, 2020 for all customers electing  
4 to opt out of the DSM/EE rate are provided in Listebarger Exhibit 6.

5 **Q. THE SALES FOR OPT-OUT CUSTOMERS ARE EASILY**  
6 **IDENTIFIED, BUT HOW IS THE COINCIDENT PEAK OF THESE**  
7 **CUSTOMERS ESTIMATED?**

8 A. Currently installed metering for a great number of opt-out customers does not  
9 provide sufficient detail to determine their contribution to the system coincident  
10 peak hour load. Instead, the impact is estimated based upon the ratio of opt-out  
11 sales to total sales for the rate class multiplied by the rate class peak demand.  
12 This approach should accurately approximate the demand of opt-out accounts.  
13 This calculation can be seen at Listebarger Exhibit 5, page 6.

14 **Q. AFTER ADJUSTING ENERGY AND DEMAND FOR OPT-OUT**  
15 **CUSTOMERS, HOW ARE THE RESULTING ALLOCATION**  
16 **FACTORS THEN USED TO DETERMINE THE REVENUE**  
17 **REQUIREMENT FOR EACH RATE CLASS?**

18 A. Energy- and demand-based allocators are used in cases where programs or  
19 measures directly benefit multiple rate groups. When a DSM or EE program  
20 benefits multiple rate groups, DEP multiplies EE costs by rate class energy  
21 allocation factors and multiplies any associated DSM costs by rate class demand  
22 allocation factors for purposes of cost assignment.

23 Since usage for opt-out customers is not forecasted, the rate class energy  
24 allocation factors were developed from the forecasted rate class usage after

1 subtracting actual sales for opt-out customers for the year ended December 31,  
2 2020. Listebarger Exhibit 5, page 5, provides the energy allocation factors  
3 applicable to each rate class based upon the forecast of rate class sales for the  
4 rate period of January 1, 2022 through December 31, 2022.

5 The allocation rate class demand allocation factors are based on the  
6 summer coincident peak demand for 2020 after subtracting the estimated  
7 demand for opt-out customers as discussed above. The forecast does not  
8 provide rate class coincident peak demands; therefore, the most recent historic  
9 data was deemed to be representative of future demand impacts. Listebarger  
10 Exhibit 5, page 6, shows the demand allocation factors applicable to each rate  
11 class for the rate period.

12 **Q. WHICH OF DEP'S PROGRAMS OR MEASURES BENEFIT**  
13 **MULTIPLE CUSTOMER CLASSES?**

14 A. The Company's DSDR program benefits all customer classes. To allocate  
15 DSDR costs, DEP employs rate class energy allocation factors. These  
16 allocation procedures are elements of Listebarger Exhibit 2, pages 1 and 4. In  
17 addition, DEP's Energy Efficient Lighting Program provides benefits to both  
18 the residential and general service customer classes. These costs were allocated  
19 based on the bulbs provided to those classes using EM&V results as shown in  
20 Listebarger Exhibit 5, page 7.

21 **Q. HOW DOES DEP DETERMINE RATE CLASS DSM/EE RATES?**

22 A. The calculated rate class DSM and EE revenue requirements are divided by  
23 forecasted rate class sales, after adjustment for opt-out customers, to establish  
24 the rate class DSM/EE rate. Listebarger Exhibit 2, page 1, provides the

1 derivation of the EE rate. Listebarger Exhibit 2, page 2, provides the derivation  
2 of the DSM rate.

3 **Q. HOW DOES DEP DETERMINE RATES FOR THE DSM/EE EMF?**

4 A. As with DSM/EE rate determination, the calculated rate class DSM and EE  
5 EMF revenue requirements, adjusted for cost recoveries, are divided by  
6 forecasted rate class sales, after adjustment for opt-out customers, to establish  
7 the rate class DSM/EE EMF rate. Listebarger Exhibit 2, page 4, provides the  
8 derivation of the EE EMF rate. Listebarger Exhibit 2, page 5, provides the  
9 derivation of the DSM EMF rate.

10 **VIII. PROPOSED RATES**

11 **Q. WHAT RATES ARE PROPOSED FOR EACH RATE CLASS?**

12 A. Listebarger Exhibit 1 is populated with the DSM/EE rates and EMF rates  
13 proposed in this proceeding. The DSM/EE rates recover costs forecasted to be  
14 incurred from January 1, 2022 through December 31, 2022. The DSM/EE EMF  
15 is a true-up mechanism recognizing costs and recoveries for the test period of  
16 January 1, 2020 through December 31, 2020. DEP proposes the following  
17 rates, exclusive of North Carolina regulatory fees, for each rate class:

Rate Class	DSM Rate (¢/kWh)	EE Rate (¢/kWh)	DSM EMF (¢/kWh)	EE EMF Rate (¢/kWh)	DSM/EE Annual Rider (¢/kWh)
Residential	0.114	0.549	0.001	0.056	0.720
General Service EE		0.637		0.040	0.677
General Service DSM	0.061		(0.008)		0.053
Lighting		0.119		0.005	0.124

1 **Q. WHAT ARE THE RATES INCLUDING NORTH CAROLINA**  
2 **REGULATORY FEES?**

3 A. The following table reflects the proposed billing rates, including North Carolina  
4 regulatory fees, for each rate class:

Rate Class	DSM Rate (¢/kWh)	EE Rate (¢/kWh)	DSM EMF (¢/kWh)	EE EMF (¢/kWh)	Annual DSM/EE Rider (¢/kWh)
Residential	0.114	0.550	0.001	0.056	0.721
General Service EE		0.638		0.040	0.678
General Service DSM	0.061		(0.008)		0.053
Lighting		0.119		0.005	0.124

5 **Q. HOW WILL DEP REVISE ITS TARIFFS TO RECOVER THESE**  
6 **RATES?**

7 A. The Company will update its Annual Billing Adjustment, Rider BA, to  
8 recognize these rates, adjusted for the North Carolina regulatory fees.

9 **IX. CONCLUSION**

10 **Q. DOES THIS CONCLUDE YOUR PRE-FILED DIRECT TESTIMONY?**

11 A. Yes.

1 COMMISSIONER BROWN-BLAND: Does that  
2 conclude?

3 MS. FENTRESS: That is the Company's direct  
4 case, yes, Madam Chair.

5 COMMISSIONER BROWN-BLAND: Now, we will turn  
6 to the Intervenors.

7 MR. MOORE: Commissioner Brown-Bland, the  
8 Intervenors call Mr. Bradley-Wright to the stand.

9 COMMISSIONER BROWN-BLAND: Okay. Mr. Wright.  
10 There you are. Took me a minute to find you.

11 FOREST BRADLEY-WRIGHT;  
12 having been duly affirmed,  
13 testified as follows:

14 COMMISSIONER BROWN-BLAND: Mr. Schauer -- or  
15 Mr. Moore, Sorry.

16 MR. MOORE: Thank you.

17 DIRECT-EXAMINATION BY MR. MOORE:

18 Q Please state your name and business address, for  
19 the record.

20 A Forest Bradley-Wright. Business address is 3804  
21 Middlebrook Pike, Knoxville, Tennessee 37921.

22 Q Mr. Bradley-Wright, on September 9th, 2021, did  
23 you cause to be prefiled direct testimony in this  
24 docket consisting of 39 pages as well as 11

1 exhibits?

2 A Yes, I did.

3 Q Do you have any changes or corrections to your  
4 prefiled testimony?

5 A No corrections.

6 Q If the questions put to you in your direct  
7 testimony were asked at the hearing today, would  
8 your answers be the same?

9 A They would.

10 Q Were the exhibits to your testimony prepared by  
11 you or under your direction?

12 A Yes, they were.

13 MR. MOORE: Commissioner Brown-Bland, I  
14 would move to have Mr. Bradley-Wright's testimony and  
15 exhibits entered into the record as though given  
16 orally from the stand, and to have his exhibits  
17 attached to his testimony and identified as premarked.

18 COMMISSIONER BROWN-BLAND: Without  
19 objection, that motion is allowed and that the  
20 testimony of witness Bradley-Wright will be received  
21 into evidence as given orally from the witness stand.  
22 The 11 exhibits are identified as they were marked  
23 when prefiled.

24 (WHEREUPON, Exhibits FBW-1

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

through FBW-11 are marked for  
identification as prefiled.)  
(WHEREUPON, the prefiled direct  
testimony of FOREST  
BRADLEY-WRIGHT is copied into the  
record as if given orally from  
the stand.)

**BEFORE THE NORTH CAROLINA UTILITIES COMMISSION**

In the Matter of: )  
 Application of Duke Energy Progress, LLC )  
 for Approval of Demand-Side Management )  
 and Energy Efficiency Cost Recovery Rider )  
 Pursuant to N.C. Gen. Stat. § 62-133.9 and )  
Commission Rule R8-69 )

**Docket No. E-2, Sub 1273**

**DIRECT TESTIMONY AND EXHIBITS OF**

**FOREST BRADLEY-WRIGHT**

**ON BEHALF OF**

**THE NORTH CAROLINA JUSTICE CENTER,  
 NORTH CAROLINA HOUSING COALITION, AND  
 SOUTHERN ALLIANCE FOR CLEAN ENERGY**

**September 9, 2021**

## **TABLE OF CONTENTS**

I.	Introduction and Qualifications .....	1
II.	Summary of Recommendations .....	3
III.	DEP’s 2020 Energy Savings Achievements .....	4
IV.	Observations Concerning Duke Energy Progress’ 2022 Savings Forecast.....	11
V.	The 1% Annual Savings Target and Recent Changes to the Duke Performance Mechanism .....	13
VI.	Update on Efforts by the Collaborative to Support Higher Efficiency Savings ....	20
VII.	Achieving Greater Efficiency Savings Impact for Low-Income Customers .....	25
VIII.	Implications of the COVID-19 Pandemic .....	34
IX.	The Role of DSM/EE for Achieving North Carolina’s Decarbonization Targets .....	36
X.	Conclusion.....	38

**EXHIBITS**

Exhibit FBW-1: Resume of Forest Bradley-Wright

Exhibit FBW-2: DEP Response to SACE et al. Data Request 1-20

Exhibit FBW-3: DEP Response to SACE et al. Data Request 1-4

Exhibit FBW-4: DEP Response to SACE et al. Data Request 1-21

Exhibit FBW-5: DEP Response to SACE et al. Data Request 1-18

Exhibit FBW-6: DEP Response to SACE et al. Data Request 1-36

Exhibit FBW-7: Liz Bourguet & Jim Grevatt, *Pathways for Energy Efficiency in Virginia*, Energy Futures Group (June 3, 2021)

Exhibit FBW-8: DEP Response to SACE et al. Data Request 1-40

Exhibit FBW-9: July 14, 2021 Presentation to the Collaborative: Duke Energy's Income Qualified Weatherization Pilot

Exhibit FBW-10: DEP Response to SACE et al. Data Request 1-30

Exhibit FBW-11: July 14, 2021 Presentation to the Collaborative on Income Qualified Budgeting

**I. Introduction and Qualifications**

**Q. PLEASE STATE YOUR NAME, POSITION AND BUSINESS ADDRESS.**

A. My name is Forest Bradley-Wright. I am the Energy Efficiency Director for Southern Alliance for Clean Energy (“SACE”), and my business address is 3804 Middlebrook Pike, Knoxville, Tennessee.

**Q. ON WHOSE BEHALF ARE YOU TESTIFYING IN THIS PROCEEDING?**

A. I am testifying on behalf of SACE, the North Carolina Justice Center (“Justice Center”), and the North Carolina Housing Coalition (“Housing Coalition”) (collectively, “Public Interest Intervenors”).

**Q. PLEASE SUMMARIZE YOUR QUALIFICATIONS AND WORK EXPERIENCE.**

A. I graduated from Tulane University in 2001 and in 2013 received my Master of Arts degree from Tulane in Latin America Studies with an emphasis on international development, sustainability, and natural resource planning.

My work experience in the energy sector began in 2001 at Shell International Exploration and Production Company, where I served as Sustainable Development Team Facilitator.

From 2005 to 2018, I worked for the Alliance for Affordable Energy. As the Senior Policy Director, I represented the organization through formal intervenor filings and before regulators at both the Louisiana Public Service Commission and the New Orleans City Council on issues such as integrated resource planning, energy-efficiency rulemaking and program design, rate cases, utility acquisition, power plant certifications, net metering, and utility scale renewables. As a consultant, I

1 also prepared and filed intervenor comments on renewable energy dockets before  
2 the Mississippi and Alabama Public Service Commissions.  
3 Since 2018, I have been the Energy Efficiency Director for SACE. In this role, I  
4 am responsible for leading dialogue with utilities and regulatory officials on issues  
5 related to energy efficiency in resource planning, program design, budgets, and  
6 cost recovery. This takes the form of formal testimony, comments, presentations,  
7 and/or informal meetings in the states of Georgia, Florida, North Carolina, South  
8 Carolina, Mississippi and in jurisdictions under the Tennessee Valley Authority. A  
9 copy of my resume is included as Exhibit FBW-1.

10 **Q. HAVE YOU BEEN AN EXPERT WITNESS ON ENERGY-EFFICIENCY**  
11 **MATTERS BEFORE THE NORTH CAROLINA UTILITIES**  
12 **COMMISSION?**

13 A. Yes, I filed expert witness testimony in response to Duke Energy Carolina's  
14 ("DEC") DSM/EE Recovery Riders in Docket Nos. E-7, Sub 1192, E-7, Sub 1230,  
15 and E-7, Sub 1249 and Duke Energy Progress' ("DEP" or "the Company")  
16 DSM/EE Recovery Riders in Docket Nos. E-2, Sub 1206, and E-2, Sub 1252.

17 **Q. HAVE YOU BEEN AN EXPERT WITNESS ON ENERGY-EFFICIENCY**  
18 **MATTERS BEFORE OTHER REGULATORY COMMISSIONS?**

19 A. Yes, I have filed expert witness testimony in Georgia related to Georgia Power  
20 Company's 2019 Demand Side Management application and in the five-year  
21 energy efficiency goal setting proceeding before the Florida Public Service  
22 Commission in 2019 for Florida Power & Light, Gulf Power, Duke Energy Florida,  
23 Tampa Electric Company, Jacksonville Electric Authority and Orlando Utilities  
24 Commission.

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23

A. I have two main recommendations for DEP:

(2) Track efficiency savings associated with Collaborative-sponsored program recommendations and report them to both the Collaborative and in future DEP DSM/EE Recovery Rider filings.

A. I have three key recommendations for the Commission:

(2) Direct DEP to increase its low-income efficiency program budgets to at least match those of DEC on a per-residential customer basis, which would result in a floor of \$5.4 million annually.

(3) Direct DEP to quantify and analyze the carbon savings associated with DEP's DSM/EE portfolio to both inform the work of the Collaborative and enable the Commission and other interested parties to track the impact of DSM/EE

resources towards achieving North Carolina's and Duke Energy's respective carbon reduction goals.

### III. DEP's 2020 Energy Savings Achievements

**Q. HOW DID DEP'S EFFICIENCY PERFORMANCE IN 2020 COMPARE TO PREVIOUS YEARS?**

A. DEP's reported energy efficiency savings were lower in 2020 than in each of the previous three years. However, DEP is to be commended for proactively adjusting its approach in the face of unprecedented challenges brought on by the COVID-19 pandemic.

In 2020, DEP delivered 307.2 gigawatt-hours ("GWh") of efficiency savings at the meter, equal to 0.70% of the previous year's retail sales<sup>1</sup>. This reflects a 12.2% decline in total savings from the previous year when the Company reported 350 GWh in annual efficiency savings. However, DEP still has not reached the 1% annual savings target agreed to in the Duke Energy-Progress Energy merger and continues to lag considerably behind DEC.<sup>2</sup>

<sup>1</sup>DEP reports energy savings and projections as "Net at Plant" or at the generator level. A line loss factor of (1+0.051) obtained from DEP Response to SACE et al. Data Request 1-20 in Duke Energy Progress DSM/EE Rider Docket (E-2, Sub 1273), attached as Exhibit FBW-2, is used to convert total savings from Evans Exhibit 1 Total All Programs (no DSDR) to "at the meter." Previous year retail sales obtained from EIA Form 861 2019, Sales to Ultimate Customers.

<sup>2</sup> The Merger Settlement with SACE, South Carolina Coastal Conservation League, and Environmental Defense Fund calls for annual energy savings of at least 1% of prior-year retail sales beginning in 2015 and cumulative savings of at least 7% over the period from 2014 through 2018. The Merger Settlement was approved by the Public Service Commission of South Carolina in Docket No. 2011-158-E. The 1% savings target has also been memorialized in the mechanism governing North Carolina programs, which provides an opportunity for the Company to earn a bonus incentive for achieving savings of 1% or more of prior year retail sales. *Order Approving DSM/EE Programs and Stipulation of Settlement*, Docket No. E-7, Sub 1032 (Oct. 29, 2013).

**Table 1. Duke Energy Progress DSM/EE Performance 2017-2020**

Vintage Year	2017	2018	2019	2020
At Meter Savings (GWh) <sup>3</sup>	359.9	380.2	350.0	307.2
Previous Year Variance (%)	-	5.6%	-7.9%	-12.2%

**Q. HOW DID DEP'S DSM/EE PERFORMANCE COMPARE TO ITS PROJECTIONS FOR 2020?**

A. In Docket E-2, Sub 1206, the Company projected annual energy savings for its entire portfolio equal to 315.1 GWh at the meter, or 0.72% of the prior-year's retail sales.<sup>4</sup> Because those projections preceded the COVID-19 pandemic and the lockdowns it precipitated, they understandably did not take those unanticipated circumstances into account. Ultimately, DEP's portfolio of programs achieved 97% of its projections for 2020, only slightly lower than forecasted in 2019. Historically, DEP's projections have nearly always underestimated its actual energy savings. The comparison highlights that, in 2020, the Company's projections were conservative enough that they were nearly achievable even during a global pandemic. The difference between the Company's DSM/EE performance and the Company's own projections is shown below in Table 2.

<sup>3</sup> Generator savings 2018-2020 obtained from Evans Exhibit 1, Pages 1-5 filed in NCUC Docket No. E-2, Sub 1273; 2017 savings obtained Evans Exhibit 1, Page 7 filed in NCUC Docket No. E-2, Sub 1206. Converted to at the meter using line loss factor from Footnote 1.

<sup>4</sup>DEP reports energy savings and projections as "Net at Plant" or at the generator level. A line loss factor of (1+0.051) obtained from DEP Response to SACE et al. Data Request 1-20 in Duke Energy Progress DSM/EE Rider Docket (E-7, Sub 1273), attached as Exhibit FBW-2, is used to convert savings total savings from Evans Exhibit 1 including DSDR to "at the meter." Previous year retail sales obtained from EIA Form 861 2019, Sales to Ultimate Customers.

1

**Table 2.** DEP Projected vs. Actual Savings at the Meter<sup>5</sup>

Year	Projected Savings (GWh)	Actual Savings (GWh)	Actual to Projected Variance (%)
2017	333.8 <sup>6</sup>	359.9 <sup>7</sup>	7.8%
2018	308.6 <sup>8</sup>	380.2 <sup>9</sup>	23.2%
2019	324.5 <sup>10</sup>	350.0 <sup>11</sup>	7.9%
2020	315.1 <sup>12</sup>	307.2 <sup>13</sup>	(2.5%)
2021	378.7 <sup>14</sup>		
2022	397.7 <sup>15</sup>		

2 **Q. WAS THE COMPANY'S EE PORTFOLIO COST-EFFECTIVE IN 2020?**

3 A. Yes. The value of DSM/EE programs continued to be cost-effective and delivered  
4 considerable financial value to customers. In 2020, DEP's DSM/EE portfolio had  
5 a Utility Cost Test ("UCT") score of 2.04 and a Total Resource Cost ("TRC") score  
6 of 1.82, though both of which were significantly lower than in 2019.<sup>16</sup> The total  
7 net present value ("NPV") of avoided costs in 2020 was also substantially lower  
8 than in previous years, but still amounted to approximately \$136.6 million of  
9 financial benefit for customers.<sup>17</sup>

<sup>5</sup>Docket numbers referenced below report actual energy savings and projections as "Net at Plant" or at the generator level, but table summarizes at the meter for the sake of consistency of previous sections.

<sup>6</sup> Evans Exhibit 1, Page 9 filed in NCUC Docket No. E-2, Sub 1108.

<sup>7</sup> Evans Exhibit 1, Page 7 filed in NCUC Docket No. E-2, Sub 1206.

<sup>8</sup> Evans Exhibit 1, Page 7 filed in NCUC Docket No. E-2, Sub 1145.

<sup>9</sup> Evans Exhibit 1, Page 1 filed in NCUC Docket No. E-2, Sub 1273.

<sup>10</sup> Evans Exhibit 1, Page 7 filed in NCUC Docket No. E-2, Sub 1174.

<sup>11</sup> Evans Exhibit 1, Page 3 filed in NCUC Docket No. E-2, Sub 1273.

<sup>12</sup> Evans Exhibit 1, Page 7 filed in NCUC Docket No. E-2, Sub 1206.

<sup>13</sup> Evans Exhibit 1, Page 5 filed in NCUC Docket No. E-2, Sub 1273.

<sup>14</sup> Evans Exhibit 1, Page 5 filed in NCUC Docket No. E-2, Sub 1252.

<sup>15</sup> Evans Exhibit 1, Page 5 filed in NCUC Docket No. E-2, Sub 1273.

<sup>16</sup> DEP Response to SACE et al. Data Request 1-4 in Duke Energy Progress DSM/EE Rider Docket (E-2, Sub 1273), attached as Exhibit FBW-3.

<sup>17</sup> *Id.*

**Table 3. Duke Energy Progress DSM/EE Cost Effectiveness 2017-2020<sup>18</sup>**

<b>Vintage Year</b>	<b>2017</b>	<b>2018</b>	<b>2019</b>	<b>2020</b>
Utility Cost Test (UCT)	3.43	3.29	2.72	2.04
Total Resource Cost (TRC)	2.35	3.03	2.60	1.82
Net Present Value (NPV) (Million)	\$281.7	\$254.7	\$212.9	\$136.6

**Q. HOW DID RESIDENTIAL SAVINGS RELATE TO TOTAL SAVINGS IN 2020?**

A. Residential programs have made up the majority of savings in DEP's portfolio for the past several years and 2020 was no exception. Residential programs represented 72% of all savings in 2020.<sup>19</sup> One residential program, My Home Energy Report (MyHER), made up nearly half of DEP's total savings in 2020 at 48% of reported system energy reductions. As noted numerous times in previous years, I am concerned that the bulk of DEP's DSM/EE portfolio savings are from a behavioral program with such limited measure life persistence. This concern was further heightened by the Market Potential Study DEP presented to the Commission in its most recent integrated resource plan (IRP), which attributed 72-78% of its 5-year cumulative efficiency savings potential to behavioral programs.<sup>20</sup> We urge the Company to focus on implementing additional measures that achieve deeper and longer-lived savings in order to maintain a more balanced and robust program portfolio going forward.<sup>21</sup> These measures should include adding to or

<sup>18</sup> *Id.*

<sup>19</sup> Evans Exhibit 1, Page 5 filed in NCUC Docket No. E-2, Sub 1273.

<sup>20</sup> Nexant (submitted to Duke Energy), "Duke Energy North Carolina EE and DSM Market Potential Study" June 2020, p. 106.

<sup>21</sup> *Testimony of Forest Bradley-Wright on Behalf of the North Carolina Justice Center and Southern Alliance for Clean Energy*, Docket No. E-7, Sub 1192 (May 20, 2019).

1 modifying programs that target the largest residential end uses of electricity – such  
2 as space heating & cooling and water heating.

3 **Q. HOW DID NON-RESIDENTIAL SAVINGS RELATE TO TOTAL**  
4 **SAVINGS IN 2020?**

5 A. In 2020, DEP's non-residential programs made up just 28% of total energy  
6 efficiency savings.<sup>22</sup> DEP's non-residential efficiency program savings declined  
7 17% from just the previous year, nearly double the level of decline seen for  
8 residential programs, most likely resulting from the economic decline brought on  
9 by the COVID-19 pandemic. However, even pre-pandemic, DEP demonstrated a  
10 troubling trend of being unable to meet projections for non-residential programs  
11 and falling savings among commercial and industrial customers. This broader trend  
12 has resulted in a 37% decrease in non-residential energy savings from 2018-2020.<sup>23</sup>

13 **Q. WHAT EFFECT DO COMMERCIAL AND INDUSTRIAL OPT OUTS**  
14 **HAVE ON PERCENT OF ENERGY SAVINGS?**

15 A. Commercial and industrial opt outs continue to negatively impact DEP's ability to  
16 reach higher savings benchmarks due to this group's large share of energy  
17 consumption. In a departure from previous years, DEP did not provide a calculation  
18 of the percentage of its commercial and industrial customers that opted out of the  
19 DSM/EE riders as requested in discovery. The data it referenced in its data  
20 response was for North Carolina only, where in 2020 approximately 47.9% of  
21 DEP's commercial and industrial energy consumption opted out of the utility's

---

<sup>22</sup> Duke Energy Progress Response to SACE et al. Data Request 1-21 in Duke Energy Progress DSM/EE Rider Docket (E-2, Sub 1273), attached as Exhibit FBW-4.

<sup>23</sup> *Id.*

1 energy efficiency offerings (11,747 GWh<sup>24</sup> out of 24,509 GWh<sup>25</sup> of DEP's North  
2 Carolina non-residential retail sales).

3 Because commercial and industrial efficiency savings can be among the most  
4 economic, greater savings among these customers would likely translate into even  
5 higher utility-system cost reductions.

6 **Q. IS IT REASONABLE TO INCLUDE OPT-OUT CUSTOMERS IN A**  
7 **PERCENTAGE OF RETAIL SALES CALCULATION?**

8 A. Yes. By calculating energy savings compared to all retail sales, the Commission  
9 can observe the effect of the efficiency portfolio against actual customer energy  
10 consumption in a year. It is also important for the Commission to be able to readily  
11 review the impact that the opt-out provisions have on overall savings. Because  
12 DEP did not provide system level opt out figures, it is not possible to compare its  
13 2020 efficiency performance as a percentage of retail sales with and without opt  
14 out customers as I have done in past proceedings. It is clear, however, that opt outs  
15 continue to drag down DEP's total efficiency savings, which could otherwise be  
16 much higher.

17 **Q. HOW DID DEP'S LOW-INCOME EFFICIENCY IMPACTS COMPARE**  
18 **TO PREVIOUS YEARS?**

19 A. DEP's low-income efficiency programs were negatively impacted to a  
20 considerable degree by the COVID-19 pandemic. In 2020, energy saved in the DEP  
21 Neighborhood Energy Saver program decreased by 84%,<sup>26</sup> making it the hardest-  
22 hit program in the entire portfolio. Unfortunately, this reduction in energy saving

---

<sup>24</sup> Duke Energy Progress Direct Testimony of Shannon Listebarger, Docket No. E-2, Sub 1273, p. 15.

<sup>25</sup> U.S. Energy Information Administration, Form EIA-861, Sales to Ultimate Customers, Early Release Data 2020.

<sup>26</sup> Duke Energy Progress Direct Testimony of Robert Evans, Docket No. E-2, Sub 1273, Evans Exhibit 1, p. 5.

services came at a time when low-income customers were facing the hardest economic circumstances in recent history. Likewise, the Multi-Family Energy Efficiency program, which benefits significant numbers of low-income customers, was similarly impacted with an 76% savings reduction in 2020. Both of these programs experienced declines that vastly exceeded the negative impact to total residential programs.

**Table 4. DEP Savings by Residential Customer / Program Type<sup>27</sup>**

Customer/Program Type	Energy Savings (GWh)			% Change
	2018	2019	2020	2019-2020
Income-Qualified	3.5	3.8	0.6	-84%
Multi-Family	13.8	11.9	2.8	-76%
<b>All Residential Programs</b>	<b>254.1</b>	<b>257.4</b>	<b>231.6</b>	<b>-10%</b>

Continued growth of efficiency savings for low-income customers has been a consistent focus at the Collaborative and Duke has shown a willingness to engage on this issue. However, as noted in my testimony last year in Docket E-2, Sub 1252, the budgets and impact of DEP's programs that aim specifically to serve low-income customers lag far behind what DEC has been delivering, which raises significant concerns. The time has come for DEP to match the recent performance of its sister company, as set forth in more detail below in Section VII of my testimony.

<sup>27</sup> *Id.*

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21

**Q. WHAT LEVEL OF SAVINGS DOES DEP PROJECT FOR 2022?**

A. DEP projects that it will achieve approximately 397.7 GWh of energy savings at the meter from both residential and non-residential programs in 2022.<sup>28</sup> This projection represents an increase from the 307.2 GWh of at the meter savings DEP reported for COVID-impacted 2020 (0.70% of prior-year retail sales), and a slight increase in savings from DEP's peak of 380.2 GWh (0.88%) in 2018.<sup>29</sup>

The central benchmark by which utility efficiency performance is commonly calculated and compared is efficiency savings as a percentage of the previous year's retail sales. But unlike previous years DEP objected to our discovery request to provide its percent annual savings for 2022, and in so doing withheld the 2021 retail sales forecast needed to make the calculation. Not only does this undermine a useful point of comparison with previous years, it is also problematic for comparing DEP's 2022 performance to the 1% savings target that has served as the primary benchmark for efficiency in the Carolinas since Duke and Progress Energy merged.

Despite the merger settlement, DEP has yet to achieve 1% annual savings nor has the Company ever forecasted achieving 1% savings in any prior DSM/EE Rider docket filing. By contrast, DEC exceeded 1% annual savings in 2017 and 2018, and nearly reached it again with 0.98% savings in 2019.<sup>30</sup> Even without the data

<sup>28</sup> *Id.* at Evans Exhibit 1, p. 7.

<sup>29</sup> *Id.*

<sup>30</sup> *Direct Testimony of Forest Bradley-Wright on Behalf of the North Carolina Justice Center, North Carolina Housing Coalition, and Southern Alliance for Clean Energy*, Docket No. E-7, Sub 1230 at p. 7 (May 22, 2020).

1 needed to calculate DEP's annual percent savings for 2022, it is clear that unless  
2 DEP increases savings beyond its current forecast, the Company will continue to  
3 fall short of the 1% threshold and the higher performance of its sister company.  
4 DEP could still exceed its forecast and achieve savings greater than 1%, but given  
5 past performance it is unlikely to do so without a defined plan or direction from the  
6 Commission.

7 **Q. SHOULD DEP CONTINUE PURSUING HIGHER LEVELS OF SAVINGS**  
8 **IN 2022?**

9 A. DEP is forecasting savings for 2022 that are higher than it projected in its Docket  
10 No. E-2, Sub 1252 for 2021 (397.7 GWh of retail sales vs. 378.7 GWh,  
11 respectively). This is directionally appropriate, but still short of the longstanding  
12 goal of 1% annual efficiency savings that continues to be a long sought and highly  
13 emphasized priority for many Collaborative participants.

14 **Q. IF DEP IS PRESENTING CONSERVATIVE FORECASTS IN ITS**  
15 **ANNUAL RIDER FILINGS, IS THERE STILL VALUE IN SHOWING**  
16 **HOW IT WOULD ACHIEVE HIGHER SAVINGS LEVELS?**

17 A. Yes. Even if DEP has presented a conservative estimate of forecasted savings for  
18 2022 for the purposes of establishing the rider, it should acknowledge in its  
19 DSM/EE Rider filings that the Commission, Public Interest Intervenors, and  
20 members of the Collaborative will be comparing the Company's 2022 savings  
21 forecast with the 1% annual savings target. DEP could additionally state its intent  
22 to strive for these higher levels, while indicating what course of action it believes  
23 would enable to successfully achieve those more ambitious goals.

V. **The 1% Annual Savings Target and Recent Changes to the Duke Performance Mechanism**

Q. ARE YOU AWARE OF A SETTLEMENT AGREEMENT THAT INCLUDED THE 1% TARGET IN DOCKET NO. E-2, SUB 931 CONCERNING DUKE'S DSM/EE COST RECOVERY MECHANISM?

A. Yes. The 1% target was a key feature of the recently approved Settlement Agreement negotiated between DEP, DEC, the Natural Resources Defense Council ("NRDC"), SACE, Sierra Club, South Carolina Coastal Conservation League ("SCCCL"), North Carolina Sustainable Energy Association ("NCSEA"), and the North Carolina Attorney General's Office ("AGO"), (collectively the "Joint Parties"). That agreement was approved by the Commission in October 2020, and its provisions go into effect for the first time in 2022.<sup>31</sup>

Q. HOW DOES THE COMMISSION'S 2020 ORDER CONCERNING DUKE'S DSM/EE COST RECOVERY MECHANISM IN DOCKET NO. E-2, SUB 931 RELATE TO THE 1% ANNUAL SAVINGS TARGET?

A. The Commission's order modified the mechanism by which Duke's energy efficiency performance incentive payments are set, including establishing a \$500,000 bonus incentive payment for any year during the four-year period of 2022-2025 where Duke achieves 1% of prior-year retail sales from efficiency. The Commission indicated that the purpose of the incentive is "to motivate the Company to aggressively pursue savings from cost-effective EE and DSM Programs." In addition to establishing the incentive, the Commission also directed the Collaborative to "study ways to implement a step approach to this type of incentive/penalty structure to potentially achieve even greater annual energy savings," which has yet to be done.

---

<sup>31</sup> Order Approving Revisions to Demand-Side Management and Energy Efficiency Cost Recovery Mechanisms, NCUC Docket No. E-2, Sub 931 (Oct. 20, 2020).

1 **Q. HAS DEP RESPONDED DIFFERENTLY TO REQUESTS FOR**  
2 **INFORMATION COMPARING ITS PERFORMANCE TO THE 1%**  
3 **TARGET IN THIS DOCKET COMPARED TO PAST PROCEEDINGS?**

4 A. Yes. In a departure from previous years, DEP objected to our discovery request  
5 seeking a calculation of its annual savings as a percentage of previous year's sales  
6 – by which a comparison to the 1% savings target can be made.<sup>32</sup> DEP's decision  
7 to object to the question this year is made more notable by the fact that the  
8 calculation itself is comparatively simple to produce, and that DEP is now eligible  
9 for a \$500,000 performance bonus for reaching the 1% annual savings threshold.<sup>33</sup>  
10 In its objection, DEP states that it has not made this calculation, raising the question  
11 of whether the company intends to pursue the performance incentive bonus or of  
12 working in good faith with Collaborative members to develop plans for reaching  
13 1% annual savings in future years. Furthermore, by failing to provide a response  
14 to our discovery request, DEP also withheld its projected 2021 retail sales forecast,  
15 thereby preventing the Public Interest Intervenors from having the data necessary  
16 to make the calculation of percent annual efficiency savings in spite DEP's  
17 objection.

18 **Q. SHOULD THE COMMISSION ASSESS DEP'S PERFORMANCE IN**  
19 **COMPARISON TO A 1% ANNUAL SAVINGS TARGET?**

20 A. Yes. The 1% annual savings target continues to be relevant for public policy  
21 purposes for several reasons. Notably, research suggests that energy efficiency  
22 savings trend higher in jurisdictions that have enacted savings targets.<sup>34</sup> The

---

<sup>32</sup> DEP Response to SACE et al. Discovery Request 1-18, attached as Exhibit FBW-5.

<sup>33</sup> *Order Approving Revisions to Demand-Side Management and Energy Efficiency Cost Recovery Mechanisms*, NCUC Docket No. E-2, Sub 931 (Oct. 20, 2020).

<sup>34</sup> See Gold, *et.al.*, *Next-Generation Energy Efficiency Resource Standards*, American Council for an Energy-Efficient Economy (August 2019), available at: <https://www.aceee.org/sites/default/files/publications/researchreports/u1905.pdf>.

1 Commission has also indicated its desire that Duke and stakeholders at the  
2 Collaborative work towards reaching higher levels of savings. To this end, a large  
3 number of clean energy and public interest advocates have contributed  
4 considerable amounts of time to this work at the Collaborative, while making clear  
5 that the 1% threshold is important to their participation in these efforts.

6 All of these factors speak to the continued relevance of the 1% annual savings  
7 threshold.

8 **Q. DID THE COMMISSION'S 2020 ORDER CONCERNING DUKE'S**  
9 **DSM/EE COST RECOVERY MECHANISM IN DOCKET NO. E-2, SUB 931**  
10 **CHANGE THE PRIMARY COST EFFECTIVENESS TEST TO SUPPORT**  
11 **INCREASED ENERGY EFFICIENCY SAVINGS?**

12 A. Yes. In addition to the \$500,000 performance incentive, the Commission changed  
13 the primary cost effectiveness test used in screening program offerings from the  
14 Total Resource Cost (TRC) test to the Utility Cost Test (UCT). In discussions at  
15 the Collaborative, Duke promoted the notion that this change will help to better  
16 value efficiency benefits for inclusion in DEP's DSM/EE portfolio and should help  
17 the Company expand its overall efficiency savings. I agree with this, especially  
18 given that the TRC, as previously applied, was asymmetrical and did not account  
19 for all benefits. Even with the switch to UCT as the new primary cost effectiveness  
20 test, the TRC will continue to be evaluated for informational purposes, and DEP is  
21 now working with the Collaborative to undertake a study of non-energy benefits  
22 (NEBs) that could result in more complete and accurate accounting of benefits for  
23 the TRC test in the future.

24 **Q. HAS CHANGING THE PRIMARY COST EFFECTIVENESS FROM TRC**  
25 **TO UCT RESULTED IN DEP PROJECTING HIGHER EFFICIENCY**  
26 **SAVINGS?**

1 A. No. Despite representations by the Company that changing from the TRC to the  
 2 UCT would increase the availability of cost-effective savings, it has not. In  
 3 response to discovery concerning the impact of this change on DEP's 2022  
 4 projections, the company stated:

5 No additional savings are projected for 2022 using the UCT compared to  
 6 TRC. There have been no changes to program offerings based on the shift  
 7 from TRC to UCT for the 2022 projection.<sup>35</sup>

8 Moreover, between the time the Stipulating Parties submitted their Settlement  
 9 Agreement and the Commission issued its Final Order, DEP completed its Market  
 10 Potential Study using the now outdated TRC test, rather than the UCT. Therefore,  
 11 DEP's IRP significantly understated the amount of available cost-effective  
 12 DSM/EE.

13 Ultimately, it is important that the DSM/EE Rider and the IRP both reflect the full  
 14 range of available cost-effective energy efficiency and demand response resources  
 15 to ensure that ratepayers are not unduly burdened with costs that could be avoided  
 16 through cost-effective investments in DSM/EE.

17 **Q. DO DUKE'S ENERGY EFFICIENCY ASSUMPTIONS IN THE IRP**  
 18 **UNDERESTIMATE DSM/EE POTENTIAL??**

19 A. As I testified last year, there is an important intersection between Duke's integrated  
 20 resource planning in the Carolinas and the investment in DSM/EE programs that  
 21 are the focus of its annual DSM/EE Recovery Rider dockets. If, the DSM/EE  
 22 assumptions used in the IRP underestimate<sup>36</sup> future energy saving potential,

<sup>35</sup> DEP Response to SACE et al. Data Request 1-36, attached as Exhibit FBW-6.

<sup>36</sup> DEC indicated in multiple stakeholder meetings that IRP inputs will be based on internal forecasts for at least the next five years. While DEC DSM/EE Recovery Rider projections for 2018 and 2019 were far closer to actual performance, previous filings were off by a substantial degree, typically underestimating actual savings by about 40%.

1 customers could wind up paying for more expensive energy, capacity, and delivery  
 2 infrastructure rather than investing in less expensive strategies to eliminate energy  
 3 waste. IRPs form the basis for a utility's resource acquisition decisions and  
 4 underpin avoided cost calculations used in cost-effectiveness testing. Therefore,  
 5 any flaws in how DSM/EE are treated in the IRP have important implications for  
 6 this proceeding.

7 As detailed in testimony submitted by Jim Grevatt on behalf of SACE, Sierra Club,  
 8 and NRDC in Duke's South Carolina IRP proceeding, there were several key  
 9 deficiencies in the DSM/EE market potential study ("MPS") that Duke relies upon  
 10 for setting energy and capacity savings levels in the IRP. Duke's MPS omitted  
 11 emerging technologies and failed to consider changes to customer engagement  
 12 strategies or programs designs that may increase customer participation.  
 13 Additionally, as noted above, the MPS relied on the TRC test, which substantially  
 14 undercounts economic savings potential, rather than the UCT.

15 **Q. HAVE REGULATORS ADDRESSED THE ISSUES RAISED**  
 16 **CONCERNING DEP UNDERESTIMATING ENERGY EFFICIENCY**  
 17 **RESOURCE POTENTIAL?**

18 A. While Duke's IRP proceeding in North Carolina is ongoing, the South Carolina  
 19 Public Service Commission ("SC PSC") affirmed several of the issues raised by  
 20 Mr. Grevatt, resulting in the following directives, including:<sup>37</sup>

- 21 2. Duke is required to use the UCT when developing EE/DSM scenarios and
- 22 savings projections in its future IRPs, IRP updates, and market potential
- 23 studies.
- 24
- 25 3. In future IRPs, IRP updates, and market potential studies, Duke must work
- 26 with the EE/DSM Collaborative to identify a set of reasonable assumptions

---

<sup>37</sup> South Carolina Public Service Commission, *Order Requiring Modification to Integrated Resource Plans*, Docket No. 2019-225-E (June 28, 2021), paras. 2-4.

surrounding 1) increased market acceptance of existing technologies and 2) emerging technologies to incorporate into EE/DSM saving forecasts. Duke should also work with members of the Collaborative to ensure that residential saving projections are not overly dependent on behavioral programs with short savings persistence. Further, Duke's next IRPs should identify which of the Collaborative's recommendations relating to market acceptance, emerging technologies, and types of programs were and were not adopted when developing market potential studies and IRPs.

4. In future IRPs, Duke must evaluate high and low EE/DSM cases across a range of fuel and CO<sub>2</sub> assumptions to better understand what level of EE/DSM should be implemented if fuel costs rise or higher CO<sub>2</sub> costs are imposed.<sup>38</sup>

**Q. WHAT SUGGESTIONS DO YOU HAVE FOR HOW DEP CAN REACH HIGHER OVERALL LEVELS OF SAVINGS IN THE FUTURE?**

A. As noted above, my principal recommendation for DEP achieving higher overall savings is for it to develop a plan for reaching, exceeding, and sustaining annual efficiency savings of 1% over the next six years. With input from the Collaborative, this plan should consider opportunities for new, expanded, and enhanced efficiency program offerings, as well as refinements to program delivery practices and potential policy changes. It should also incorporate new approaches to evaluating efficiency potential using the UCT, include new technologies, and pursue higher levels of market participation, as directed by the South Carolina PSC. Without quantifying, striving, and tracking progress towards a defined savings target, like 1%, it is unlikely DEP will reach higher levels of efficiency savings.

**Q. HOW MIGHT THE EXPERIENCE OF UTILITIES WITH HIGHER EFFICIENCY PERFORMANCE INFORM PLANNING FOR DEP TO REACH 1% ANNUAL SAVINGS?**

A. DEP's sister company in the Carolinas, DEC, has historically delivered higher annual efficiency savings performance, providing a partial roadmap for DEP to

<sup>38</sup> South Carolina Public Service Commission, *Order Requiring Modification to Integrated Resource Plans*, Docket No. 2019-225-E (June 28, 2021) p. 86.

1 follow. Ample opportunities exist for identifying new savings strategies by  
2 examining the experience of other utilities as well. According to analysis by the  
3 American Council for an Energy Efficient Economy (“ACEEE”), 25 of the 52  
4 largest utilities in the country have delivered annual savings in excess of 1%. Duke  
5 should assess what it can learn from the experience of peer utilities that achieve  
6 higher levels of savings and apply that to increase the savings it achieves in the  
7 Carolinas.

8 **Q. ARE YOU AWARE OF SIMILAR ANALYSIS THAT HAS BEEN DONE IN**  
9 **OTHER JURISDICTIONS?**

10 A. Recent work by ACEEE and Energy Futures Group (“EFG”) highlighted new  
11 savings opportunities for Dominion Energy Virginia by analyzing the level of  
12 savings achieved by typical EE program types at a dozen peer utilities.<sup>39</sup> For each  
13 program type, EFG determined the depth of savings achieved on average by these  
14 utilities, expressed as the percentage of sector sales by program. While this analysis  
15 did not specifically include DEP, DEC was included and shows how the  
16 comparison can be used to identify opportunities for increased savings. For  
17 instance, DEC’s residential behavioral programs (MyHER) deliver a higher than  
18 average percent of savings compared to total residential electric sales. But the  
19 savings that DEC achieves through deep efficiency programs of the type we have  
20 long recommended, like residential HVAC and residential whole house retrofit, are  
21 each about 80% below the average savings achieved across the comparison

---

<sup>39</sup> Liz Bourguet & Jim Grevatt, *Pathways for Energy Efficiency in Virginia*, Energy Futures Group (June 3, 2021), attached as Exhibit FBW-7.

1 utilities.<sup>40</sup> DEC's residential new construction<sup>41</sup> and non-residential prescriptive  
 2 programs also substantially underperform compared to peer utilities. Each of these  
 3 present an opportunity to pursue substantial new efficiency savings and provide  
 4 DEP with a valuable source of comparative data that it could use to pursue new  
 5 efficiency savings opportunities. As a general strategy for finding new savings  
 6 opportunities for its customers, DEP can draw from this ACEEE/EFG analysis and  
 7 widely available original source materials documenting the successful experiences  
 8 of other utility efficiency programs from which the Company can build a plan to  
 9 exceed 1% annual efficiency savings.

10 **Q. WHAT DO YOU RECOMMEND?**

11 A. I recommend that the Commission direct DEP to work in good faith with members  
 12 of the Collaborative to produce a plan for how best to exceed 1% annual savings  
 13 in each of the next six years, to be periodically updated and presented to the  
 14 Commission as an appendix to future DEP DSM/EE Rider applications.

15 **VI. Update on Efforts by the Collaborative to Support Higher**  
 16 **Efficiency Savings**

17 **Q. HAS THE COLLABORATIVE WORKED TO DEVELOP STRATEGIES**  
 18 **AND RECOMMENDATIONS FOR INCREASING FUTURE DEP DSM/EE**  
 19 **SAVINGS?**

20 A. Yes. Understanding constraints and developing recommendations to increase  
 21 future efficiency savings continues to be a central aim of discussions at the  
 22 Collaborative.

---

<sup>40</sup> <https://www.aceee.org/pathways-energy-efficiency-virginia>, download "Modeling Tool" and see tab "Consolidated Savings."

<sup>41</sup> DEC does not currently offer an incentive program for residential new construction, though it has submitted a program application for Commission approval.

1 In 2019, the Collaborative prioritized exploring portfolio level opportunities and  
2 challenges and produced a summary report highlighting a range of program and  
3 policy opportunities to increase savings. Reflecting the perspective of many clean  
4 energy and customer advocacy organizations that participate in the Collaborative,  
5 the report affirmed a continued desire to see Duke sustain annual savings in excess  
6 of 1% of retail sales. It also identified several other complimentary performance  
7 targets.

8 In 2020, SACE, NCJC, and others efficiency advocates in the Collaborative shifted  
9 focus towards development of specific program recommendations detailed below  
10 that could help to prevent savings declines and achieve sustained annual savings  
11 levels in excess of 1% of retail sales.

12 In 2021, SACE, NCJC, and other stakeholders at the Collaborative are seeking to  
13 build on this past work, but have shifted towards development of a more specific  
14 and actionable plan. The intent is that this plan will quantify the number of kWh  
15 savings needed to achieve 1% savings and then be paired with program  
16 recommendations and proposed changes to policies and practices sufficient to  
17 reach that target. Accordingly, each of these individual opportunities should be  
18 evaluated for their expected future savings contributions, then added together and  
19 measured against the savings gap. The aim is for the plan to include enough new  
20 savings opportunities to exceed 1% annual savings for each of the next six years,  
21 with sufficient redundancy and flexibility to achieve the goal even if not every  
22 individual component is implemented. Progress will be up to Duke, as Advocates

1 at the Collaborative cannot do this work without Duke's full cooperation on both  
2 analysis and solutions development.

3 **Q. HAVE COLLABORATIVE STAKEHOLDERS SUBMITTED PROGRAM**  
4 **RECOMMENDATIONS TO DUKE TO HELP INCREASE THE**  
5 **COMPANY'S EFFICIENCY SAVINGS?**

6 A. Yes. Over the past two years, stakeholders have submitted several program  
7 proposals for Duke's consideration along with supporting materials and presented  
8 them to the Collaborative, including:

- 9 • Low-Income Housing Tax Credit (LIHTC) (March 2019)
- 10 • Energy Star Retail Products Platform (January 2020)
- 11 • Program Savings from Building Codes and Standards (January 2020)
- 12 • Residential Low-Income Single-Family Heat Pump Water Heater Rental  
13 Program (June 2020)
- 14 • Non-Residential Multifamily Heat Pump Water Heater Rebate Program  
15 (June 2020)
- 16 • Manufactured Homes Retrofit Program (August 2020)
- 17 • Manufactured Home New and Replacement Programs (August 2020)

18 **Q. HAS DUKE ACTED ON ANY OF THE PROGRAM**  
19 **RECOMMENDATIONS BROUGHT FORWARD BY STAKEHOLDERS**  
20 **AT THE COLLABORATIVE?**

21 A. Duke has taken the Collaborative stakeholder program recommendations for  
22 internal review and consideration. But until recently, there has been little visible  
23 action towards implementing these recommendations, and Duke has yet to submit  
24 a program application to the Commission for approval based on any of the  
25 recommendations provided by members of the Collaborative. Among the various

1 recommendations presented by Collaborative Stakeholders, Duke appears to have  
2 done the most to advance projects receiving an allocation of Low-Income Housing  
3 Tax Credits (LIHTC) with the Company's DSM/EE program offerings. But DEP  
4 reports that there is just one LIHTC project currently in the pipeline with status  
5 listed as Contract Approval, which is expected to yield 96.7 MWh of savings. This  
6 is a small step in the right direction that points to even more savings potential, as  
7 discussed further below. Through discovery, DEP also indicates that it expanded  
8 residential midstream offerings in response to a Collaborative stakeholder  
9 recommendation by working directly with manufacturers that do not use  
10 distributors, though in a separate discovery response the company states: "DEP  
11 does not track the incremental savings that can be attributed to Collaborative  
12 contributions."<sup>42</sup>

13 **Q. DID DEP PROVIDE ANY INDICATION TO THE COLLABORATIVE**  
14 **THAT IT PLANNED TO PROJECT INCREASES IN EXISTING**  
15 **PROGRAM SAVINGS FOR 2022?**

16 A. Not that I am aware of, which I find odd. It is common knowledge that the  
17 Collaborative has a strong interest in seeing DEP achieve higher efficiency savings,  
18 but to my recollection Duke representatives never mentioned that they were  
19 planning significant increases (of 25%-57%) in savings for many of its existing  
20 programs. Nor did it mention plans to substantially decrease multifamily program  
21 savings (by 30%), which likely would have been concerning to several  
22 Collaborative members. Among other implications, this means Collaborative

---

<sup>42</sup> DEP Response to SACE et al. Data Request 1-40, attached as Exhibit FBW-8.

1 members were not provided an opportunity to comment on or contribute to DEP's  
2 plans for substantially shifting savings levels for its existing programs in 2022.

3 **Q. IS IT YOUR SENSE THAT THE STAKEHOLDERS WHO PARTICIPATE**  
4 **IN THE COLLABORATIVE ARE SATISFIED WITH THE PROGRESS**  
5 **THAT HAS BEEN MADE?**

6 A. While I cannot speak for others, as time goes on, I have observed increasing  
7 frustration among Collaborative members at the slow progress and ambiguity  
8 surrounding Duke's decision-making process, including concern with Duke's  
9 handling of stakeholder program recommendations that I discussed above.  
10 Stakeholders are left wondering what to expect between the time of program  
11 recommendation submission and the Company either implementing program  
12 modifications or submitting a program application for approval at the Commission  
13 (or rejecting the recommendation, if that is their decision). I continue to believe  
14 that the Collaborative provides a valuable vehicle for this type of program  
15 development work, but to date there has been little to show for all the effort  
16 Collaborative members have contributed towards developing program concepts for  
17 inclusion in DEP's DSM/EE portfolio.

18 **Q. WHAT DO YOU RECOMMEND?**

19 A. I recommend that DEP expeditiously finalize the evaluation and development of  
20 program recommendations proposed by Collaborative members for direct  
21 implementation or submission of program applications to the Commission for  
22 approval. I also recommend that going forward DEP track the efficiency savings  
23 associated with Collaborative-sponsored program recommendations and report  
24 them to the Collaborative and in future DEP DSM/EE Recovery Rider filings. As

25 I have previously testified, the Collaborative would benefit from more direction

from the Commission, including clear timelines for producing specific deliverable outcomes. Without that direction, the tendency is for the Collaborative to be a place for discussion with no clear action.

**VII. Achieving Greater Efficiency Savings Impact for Low-Income Customers**

**Q. WHAT HAS THE COMMISSION PREVIOUSLY SAID REGARDING THE DEVELOPMENT OF LOW-INCOME ENERGY EFFICIENCY PROGRAMS IN ITS PREVIOUS ORDERS?**

A. Consistent with its statements in previous years, the Commission's Final Order in the 2020 DEP Rider Docket E-2, sub 1252 stated:

The Collaborative should continue to emphasize developing EE programs that assist low income customers in saving energy and reducing their energy burdens.

**Q. WHAT LEVEL OF SAVINGS DOES DEP PROJECT FOR ITS LOW-INCOME PROGRAMS IN 2022?**

A. Neighborhood Energy Saver accounts for 4.7 GWh of system energy reductions in DEP's estimated load impacts for 2022.<sup>43</sup> These programs are forecasted to account for just 1% of total residential energy savings in 2022. Nevertheless, if achieved, this would be a 27% increase in total energy savings for DEP's low-income programs compared to its 2019 pre-pandemic performance.

**Q. HOW DO OVERALL SAVINGS LEVELS FOR LOW-INCOME EFFICIENCY PROGRAMS AT DEP COMPARE TO THOSE AT DEC?**

A. In past years, DEP's low-income efficiency program performance has trailed far behind DEC. In 2019, DEP's 3.7 GWh of savings<sup>44</sup> paled in comparison to the more than 9 GWh DEC saved customers through its low-income efficiency programs.<sup>45</sup> For 2022, DEP is projecting 4.7 GWh of savings from its income

<sup>43</sup> Evans Exhibit 1, p. 5, NCUC Docket No. E-2, Sub 1273.

<sup>44</sup> Evans Exhibit 1, p. 3, Docket No. E-2, Sub 1252.

<sup>45</sup> Evans Exhibit 1, p. 3, Docket No. E-7, Sub 1230.

1 qualified efficiency programs. DEC's projected 9.8 GWh of low-income program  
 2 savings for 2022<sup>46</sup> are 208% higher than DEP's and its annual budget is 265%  
 3 higher, despite DEC having only 62% more residential customer accounts.<sup>47</sup>

4 **Q. HOW DO THE LOW-INCOME PROGRAMS OFFERED BY DEP**  
 5 **COMPARE TO THOSE OFFERED BY DEC?**

6 A. Both DEP and DEC operate neighborhood-style low-income programs and both  
 7 use the same program administrator, Honeywell Building Services. But DEC also  
 8 operates the Income Qualified Weatherization program, administered by the North  
 9 Carolina Community Action Association, which delivers deeper individual savings  
 10 for each participating household. DEP launched a Buncombe County Pay for  
 11 Performance pilot program in 2019 that includes deeper saving measures, but it  
 12 currently contributes only a little to the Company's overall savings and has been  
 13 less successful at delivering deep efficiency savings than DEC's income qualified  
 14 weatherization program. As noted above, DEP's total low-income program savings  
 15 also fall far short of the levels achieved by DEC.

16 **Q. WHAT ARE SOME OF THE AVAILABLE OPTIONS FOR EXPANDING**  
 17 **DEEPER SAVING EFFICIENCY PROGRAMS FOR LOW-INCOME**  
 18 **CUSTOMERS?**

19 A. There are several options for expanding deeper efficiency savings programs for  
 20 DEP's low-income customers.

21 One option is to essentially replicate the regular DEC Income Qualified  
 22 Weatherization program model, which I have advocated for in previous DEP Rider  
 23 proceedings. The company could also deploy a modified version of this program,

---

<sup>46</sup> Evans Exhibit 1, p. 5, Docket No. E-7, Sub 1249.

<sup>47</sup> EIA 861 2020.

1 patterned off of the related Income Qualified Weatherization pilot program DEC  
2 offered in Durham from late 2018 through the end of 2019. Another option would  
3 be to dramatically scale up DEP's Pay for Performance Pilot, if such an expansion  
4 is deemed feasible and likely to deliver comparable results.

5 Or, DEP could increase funding and deployment of the expanded set of deeper  
6 efficiency saving measures for the Neighborhood Energy Saver<sup>48</sup> program that  
7 were previously approved by the Commission but never fully implemented due to  
8 the COVID-19 pandemic. If the Company pursued this route, it should also offer  
9 programming for low-income customers that includes HVAC equipment  
10 replacement, which is the largest source of energy use in a typical home and has  
11 been a major component of the DEC Income Qualified Weatherization program  
12 and the Durham Pilot. DEP could also build on recent progress by significantly  
13 expanding the number of LIHTC projects it serves.

14 These examples are illustrative and not intended to be exhaustive. Additional  
15 approaches could focus on particular housing types like multifamily and  
16 manufactured homes, or measures like heat pump water heaters, and new program  
17 marketing and delivery methods.

18 Regardless of which program designs are pursued, there will likely be trade-offs  
19 between potential total savings impact, cost per kWh savings, and average savings  
20 per participant. Whichever approach is ultimately taken, I recommend that these  
21 three factors be carefully and transparently weighed in the decision-making process

---

<sup>48</sup> Often called NES 2.0.

1 with a strong emphasis placed on optimizing programs to deliver meaningful  
2 impact for individual customers with high energy burdens.

3 **Q. WHAT IS THE BASIS OF YOUR ASSERTION THAT MORE POTENTIAL**  
4 **EXISTS TO COORDINATE DSM/EE PROGRAM PARTICIPATION**  
5 **WITH LIHTC?**

6 A. In 2020, the North Carolina Housing Finance Agency awarded forty-two 9%  
7 LIHTC projects and an additional twenty-four tax-exempt bond projects. South  
8 Carolina Housing awarded seventeen 9% LIHTC projects in 2020.<sup>49</sup> The LIHTC  
9 program provides a reliable, annual pipeline of projects available for energy  
10 efficiency investments. In the near future, I encourage Duke to work towards a  
11 target that 100% of projects applying for LIHTC in its service territory are  
12 reviewed to identify relevant DSM/EE program offerings, then report on an annual  
13 basis the number of LIHTC applications reviewed, the conversion rate for  
14 participation by these projects, and through which program. To do so, DEP should  
15 work with the state housing finance agencies to ensure all LIHTC projects move  
16 through its DSM/EE program offerings, without it depending on individual project  
17 administrators having to become aware of and initiate the process from their end.

18 **Q. HOW MIGHT LESSONS LEARNED FROM THE DEC DURHAM PILOT**  
19 **INFORM POTENTIAL CHANGES TO LOW-INCOME PROGRAM**  
20 **OFFERINGS IN THE FUTURE?**

21 A. As noted above, the Durham Pilot involved a modified delivery for the DEC  
22 Income-Qualified Weatherization Assistance program. This included providing a  
23 larger than typical package of improvements and working with low-income

---

<sup>49</sup> Housing Tax Credit (LIHTC), South Carolina State Housing Finance and Development Authority,  
available at: <https://www.schousing.com/Home/HousingTaxCredits>.

1 customers with comparatively high energy intensity. The program was also able to  
 2 serve customers who were unable to access the federal Weatherization Assistance  
 3 Program dollars due to overly long wait lists or health, safety, and incidental repair  
 4 needs. According to DEC:

5 For participation in the Durham Pilot, previous Neighborhood Energy  
 6 Saver Program neighborhoods in Durham, NC were targeted via direct  
 7 mail. Income eligibility for the Pilot was 200% of federal income  
 8 poverty guidelines and their kWh usage per home square foot was 7 kWh  
 9 or greater. These income-eligible customers were offered Tier 2  
 10 Weatherization (insulation, air sealing, and duct sealing, baseload  
 11 lighting and domestic hot water measures), HVAC replacement and  
 12 some health and safety improvements.<sup>50</sup>

13 In total, 206<sup>51</sup> homes were served, including 59<sup>52</sup> whose participation was made  
 14 possible because they also received supplemental Helping Home Funds to address  
 15 required health, safety, and incidental repair needs prior to the efficiency  
 16 improvements.

17 A recently released EM&V report by Opinion Dynamics for the DEC Income  
 18 Qualified Weatherization Program included a process evaluation of the Durham  
 19 Pilot, which included the following statement:

20 Duke Energy launched the Durham Pilot in 2018, with the intent to  
 21 determine how and if the current DEC Weatherization Program design  
 22 could be improved and expanded into Duke Energy Progress (DEP)  
 23 service territory.<sup>53</sup>

24 The EM&V reports concludes its Process Findings summary by concluding:

<sup>50</sup> *Testimony and Exhibits of Forest Bradley-Wright*, NCUC Docket No. E-7, Sub 1249 (May 10, 2021), Exhibit FBW-3.

<sup>51</sup> Opinion Dynamics (for Duke Energy Carolinas), “Low Income Weatherization Program (2016-2018) Evaluation Report – Final.” April 2021, p. 5.

<sup>52</sup> Duke presentation to the Collaborative on July 14, 2021 entitled “Duke Energy’s Income Qualified Weatherization Pilot,” attached as Exhibit FBW-9.

<sup>53</sup> Opinion Dynamics (for Duke Energy Carolinas), “Low Income Weatherization Program (2016-2018) Evaluation Report – Final.” April 2021, p. 41.

1 [A] program design similar to the Durham Pilot could be a good option for  
2 bringing weatherization services to customers in South Carolina and/or the DEP  
3 service territory.<sup>54</sup>

4 I strongly concur with this conclusion and encourage DEP and the Commission to  
5 move forward expeditiously with developing a comparable deep efficiency  
6 program offering for its low-income customers.

7 **Q. ARE YOU AWARE OF ADDITIONAL HELPING HOME FUNDS BEING**  
8 **ALLOCATED TO ASSIST WITH DELIVERING EFFICIENCY SAVINGS**  
9 **TO LOW-INCOME CUSTOMERS?**

10 A. Yes, Public Interest Intervenors were parties to a partial Settlement Agreement  
11 with DEC and DEP during their most recent rate case proceedings in which both  
12 companies committed to providing a combined \$3 million to the Helping Home  
13 Fund (HHF) over the next two years, for a total of \$6 million. The Commission  
14 approved the settlement terms reached by the Stipulating Parties.

15 Last year, I submitted testimony in DEP's DSM/EE Rider proceeding on behalf of  
16 Public Interest Intervenors that emphasized the valuable role these funds play in  
17 augmenting traditional ratepayer funded low-income energy efficiency programs.  
18 For instance, 59 of the 206 customers served through DEC's Durham Pilot received  
19 HHF for vital repairs, without which they would typically not have been able to  
20 receive energy efficiency upgrades.

21 Now that these funds have been committed, it is crucial that this money be spent  
22 strategically to leverage and extend the impact of DEP and DEC's ratepayer funded  
23 low-income efficiency programs to the maximum extent. One constructive  
24 approach would be to use the HHF dollars almost exclusively to cover health,

---

<sup>54</sup> *Id.*

1 safety, and incidental repairs and/or fund additional improvements beyond the  
2 individual house budgetary limits in the ratepayer funded low-income programs  
3 for the households with the greatest need. In the near term, this could be  
4 accomplished by funding health, safety, and incidental repairs for customers being  
5 served by the Neighborhood Energy Saver 2.0 program, as well as providing  
6 HVAC replacement to these customers when needed. Going forward, I hope DEP  
7 will deploy a low-income deep efficiency program comparable to the DEC Income  
8 Qualified Weatherization program or the associated Durham Pilot, then use the  
9 HHF funds predominantly to supplement it with health, safety, and incidental  
10 repairs, serving customers who would otherwise be excluded from the ratepayer  
11 program, or providing additional measures beyond per household spending caps to  
12 match improvements to customer needs. Doing so will not only extend the life of  
13 these HHF dollars, it will lead to deeper savings that truly address energy burden  
14 while enabling many customers to participate who otherwise would have been  
15 turned away.

16 **Q. ARE YOU AWARE OF DEP'S COMMITMENT TO WORK WITH THE**  
17 **COLLABORATIVE TO DEVELOP AND SEEK APPROVAL FOR NEW**  
18 **LOW-INCOME ENERGY EFFICIENCY PROGRAMS?**

19 **A.** Yes, in the same rate case settlement, DEC and DEP agreed to work with the  
20 Stipulating Parties to develop additional low-income energy efficiency programs  
21 that will be presented to the Collaborative and, if supported by a majority of the  
22 group, will then be submitted to the Commission for approval.

23 Not only is this an important step in the right direction for advancing ongoing  
24 efforts to expand low-income efficiency program impact, it is also significant that  
25 this arrangement has a timeline with specific actions leading up to a program

1 application filing to the Commission. Experience over the past two years at the  
2 Collaborative has shown that without such specific deliverables and deadlines, new  
3 program concepts get bogged down with no clear path to implementation. I would  
4 again urge the Commission to order the Company to make the Collaborative  
5 function more effectively by requiring specific deliverables to be met on a defined  
6 time scale.

7 **Q. HOW DOES DEP DETERMINE BUDGETS AND SAVINGS TARGETS**  
8 **FOR ITS LOW-INCOME EFFICIENCY PROGRAMS?**

9 A. Despite frequent conversations about expanding low-income efficiency programs,  
10 it is still unclear how DEP determines its low-income efficiency program budgets  
11 and savings targets. In response to this question during discovery, DEP stated:

12 Budget and savings targets are determined by the filed participation  
13 numbers for our low-income programs. The participation numbers are  
14 generated based on the potential and the workload needed to successfully  
15 reach a high completion/penetration rate. Consideration is also given that  
16 these programs are not cost-effective.<sup>55</sup>

17 This July, Duke presented the Collaborative with two slides meant to explain the  
18 budget differences between DEP and DEC.<sup>56</sup> Like the discovery answer above, the  
19 Company's explanation at this meeting was also ambiguous, and raised new  
20 questions, such as:

- 21 • How can it be that programs are driven by customer demand when the  
22 number of customers served and budgets are predetermined and  
23 constrained by the vendor contract? For this reason, historical

---

<sup>55</sup> DEP Response to SACE et al. Data Request 1-30, attached as Exhibit FBW-10.

<sup>56</sup> Slides presented to the Collaborative on Income Qualified Budgeting on July 14, 2021, attached as Exhibit FBW-11.

1 performance is not a meaningful indicator of customer demand, which is  
2 known to be much larger.

3 • Are DEP's spending and savings levels (adjusted for differences in  
4 relative number of residential customers) so much lower than DEC's  
5 intentionally? If not, is DEP willing to bring its spending and savings  
6 levels up proportionately with a corresponding timeline?

7 **Q. WOULD YOU STILL RECOMMEND INCREASING DEP'S LOW-**  
8 **INCOME EFFICIENCY PROGRAM SAVINGS AND BUDGETS?**

9 A. I would. Unlike most non-income qualified efficiency programs DEP offers that  
10 are driven by individual customer demand, the Neighborhood Energy Saver  
11 program is delivered by third parties (such as Honeywell) with fixed budgets that  
12 are set by DEP. From the answer DEP provided above regarding its low-income  
13 programs, it seems that the kWh savings are based on the number of measures or  
14 customers that the program administrators are contracted by DEP to serve. Thus, it  
15 would appear that the key limiting factor in how many customers get served and at  
16 what level of savings is DEP's internal budget setting and not the scale of customer  
17 need. If DEP brought its annual budget for income qualified efficiency programs  
18 up to the levels proposed by DEC for 2022 (adjusted proportionately based on  
19 residential customer counts), this would equate to \$5.4 million annually.

20 **Q. WHAT DO YOU RECOMMEND?**

21 A. I recommend that the Commission direct DEP to increase its low-income  
22 efficiency program budgets to at least match those of DEC on a per-residential  
23 customer basis, which would result in a floor of \$5.4 million annually. DEP should  
24 then work with the Collaborative on setting new savings targets for its income-

1 qualified programs, which would then be reported to the Commission in its next  
2 DSM/EE Recovery Rider filing.

3 **VIII. Implications of the COVID-19 Pandemic**

4 **Q. AT A HIGH LEVEL, WHAT IMPLICATIONS DID THE COVID-19**  
5 **PANDEMIC HAVE FOR DEC'S DSM/EE PERFORMANCE IN 2020?**

6 A. DEP performed better than many other major utilities in the region, as discussed in  
7 greater detail below. This was in part because DEP was among the first utilities in  
8 the Southeast to implement new safety protocols enabling it to resume some in-  
9 home energy efficiency services. Again, DEP is to be commended for how it  
10 responded to the pandemic, which indicates a level of commitment, flexibility, and  
11 initiative that will serve the Company well if it accepts the challenge of pursuing  
12 the savings target of 1% of prior-year retail sales.

13 **Q. HOW DID DEP'S APPROACH TO PROGRAM DELIVERY AND ITS**  
14 **OVERALL ENERGY EFFICIENCY PERFORMANCE DURING THE**  
15 **PANDEMIC COMPARE TO OTHER UTILITIES?**

16 A. In the early days of the pandemic, on-site efficiency services ground to a halt for  
17 DEP and all utilities across the country. This led to significant declines in  
18 efficiency program savings. Unfortunately, the steepest declines were often in  
19 programs that serve, low-income customers – the very people who needed them  
20 most. DEP was among the first utilities in the Southeast to implement new safety  
21 protocols and resume in-home energy efficiency services after the pandemic. The  
22 exception, however, were DEP's low-income and multi-family programs, which  
23 saw steep savings declines of 84% and 76% respectively.  
24 DEP's overall energy efficiency performance was relatively high in comparison to  
25 several other utilities in the region, particularly those in Georgia and Florida.

However, DEP's performance trailed far behind that of Entergy Arkansas, which was actually able to improve program performance in spite of the pandemic. Notably, the Arkansas Public Service Commission has established annual efficiency savings targets of 1.2%, which Entergy Arkansas was able to surpass even during the pandemic. Below is a table of selected utilities for comparison:

**Table 5. Energy Efficiency Performance of Selected Utilities 2019-2020**

Utility Name	2019	2020
Entergy Arkansas <sup>57</sup>	1.10%	1.35%
Duke Energy Progress	0.78%	0.70%
Georgia Power <sup>58</sup>	0.46%	0.28%

**Q. IN WHAT WAYS CAN ENERGY EFFICIENCY BE PART OF A STRATEGY TO ASSIST CUSTOMERS IMPACTED BY THE PANDEMIC WHILE REDUCING THE COST TO ALL CUSTOMERS FOR UNCOLLECTIBLE BILLS?**

**A.** For customers that struggled financially during the pandemic, energy efficiency improvements could provide extra money to help them afford current and past due electric bills that are now in repayment. DEP knows exactly which customers have overdue balances and has the opportunity to target deployment of its efficiency program services directly to those customers.

Programs to serve low-income customers with past due bills could come in a number of different forms, ranging from customer self-install kits combined with a personalized virtual consultation, to deeper retrofit programs potentially patterned after those offered by DEC's Income Qualified Weatherization Program

<sup>57</sup> Performance calculated using net savings and total retail sales from Entergy Arkansas Standardized Annual Reporting Workbook for 2020 Program Year filed in APSC Docket No. 07-085-TF. Net savings for 2020 found in "Table 1" tab; all other figures used are found in "Prior Year Portfolio."

<sup>58</sup> Calculated using EIA Form-861 for all figures except for 2020 savings, which were obtained from the 2020 Fourth Quarter DSM Report filed in Georgia PSC Docket No. 42311 (Feb. 15, 2021), available at: <https://psc.ga.gov/search/facts-document/?documentId=184364>.

1 and its Durham Pilot Program. Participation in efficiency programs could even be  
2 matched with partial debt forgiveness.

3 Ultimately, these steps could make enough of a difference for customers to  
4 complete their repayment plans and prevent uncollectible bills from being passed  
5 on to the general body of ratepayers. Doing so could also prevent disconnections  
6 and the attendant consequences that can result, like damaged credit scores,  
7 additional financial challenges, health risks, and in some cases eviction.

8 **IX. The Role of DSM/EE for Achieving North Carolina's**  
9 **Decarbonization Targets**

10 **Q. HAS DUKE ENERGY MADE COMMITMENTS TO REDUCE ITS**  
11 **CARBON EMISSIONS?**

12 A. Yes. Duke Energy has made a commitment to its customers and shareholders to  
13 reduce carbon dioxide emissions by 50% by the year 2030, and further to net zero  
14 by 2050.<sup>59</sup>

15 **Q. HOW DO DEP'S DSM/EE PROGRAMS CONTRIBUTE TO MEETING**  
16 **THESE DECARBONIZATION OBJECTIVES?**

17 A. Energy saved through Duke's DSM/EE programs reduce total energy waste and  
18 lessen reliance on the Company's fossil fuel generators. As such, DSM/EE is one  
19 of the most effective means by which the utility can lower carbon emissions. Duke  
20 has specifically highlighted the relationship between energy efficiency and  
21 reaching its net zero goal, stating:

22 Some of the most effective carbon reductions we can make involve  
23 helping customers avoid energy usage in the first place. Again, regulatory  
24 or legislative policies related to climate change can prove to be a driver  
25 for opportunities for increased deployment of energy efficiency.<sup>60</sup>

<sup>59</sup> Achieving a Net Zero Carbon Future, Duke Energy 2020 Climate Report. Link: [https://desitecoreprod-cd.azureedge.net/\\_/media/pdfs/our-company/climate-report-2020.pdf?](https://desitecoreprod-cd.azureedge.net/_/media/pdfs/our-company/climate-report-2020.pdf?)

<sup>60</sup> *Id.*

1 **Q. HOW DO ANNUAL DSM/EE RECOVERY RIDER PROCEEDINGS**  
 2 **INTERSECT WITH THE GOVERNOR'S EMISSION REDUCTION**  
 3 **COMMITMENTS?**

4 A. As detailed at greater length in testimony I filed for DEC's DSM/EE Rider earlier  
 5 this year,<sup>61</sup> in 2018, North Carolina Governor Roy Cooper committed to reducing  
 6 greenhouse gas emissions by 40% in all sectors by 2025.<sup>62</sup> The corresponding  
 7 statewide Clean Energy Plan ("CEP") went further and established an overall goal  
 8 of reducing *power sector* emissions by 70% from 2005 levels by 2030.<sup>63</sup> As one of  
 9 the largest utilities in the state, Duke Energy Progress is a substantial contributor  
 10 to power sector emissions in North Carolina. As noted above, efficiency not only  
 11 offsets the need for fossil fuel generation, it is the least cost energy resource,  
 12 making expansion of DEP's DSM/EE programs an essential tool for achieving  
 13 North Carolina's emission reduction commitments.

14 **Q. HAS DEP REPORTED ON THE CARBON REDUCTION IMPACT OF ITS**  
 15 **DSM/EE PORTFOLIOS?**

16 A. No, to my knowledge DEP has not reported the carbon reduction impact of its  
 17 DSM/EE portfolios, neither in its DSM/EE Rider filings nor anywhere else. While  
 18 general estimates can be made using per megawatt-hour emissions rates, it would  
 19 be instructive for the Company to conduct and provide its own analysis. Rather  
 20 than generalizing with an annual average, such an analysis could match efficiency  
 21 savings with the corresponding marginal emissions rate of the power generation it

---

<sup>61</sup> *Testimony and Exhibits of Forest Bradley-Wright*, NCUC Docket No. E-7, Sub 1249 (May 10, 2021).

<sup>62</sup> Executive Order No. 80, North Carolina's Commitment to Address Climate Change and Transition to a Clean Energy Economy, Governor Roy Cooper. October, 2018, *available at*: <https://governor.nc.gov/documents/executive-order-no-80-north-carolinas-commitment-address-climate-change-and-transition>.

<sup>63</sup> North Carolina Clean Energy Plan (CEP), North Carolina Department of Environmental Quality (NCDEQ), October 2019, *available at*: [https://files.nc.gov/governor/documents/files/NC\\_Clean\\_Energy\\_Plan\\_OCT\\_2019\\_.pdf](https://files.nc.gov/governor/documents/files/NC_Clean_Energy_Plan_OCT_2019_.pdf).

1 offsets to account for key factors like time of day, time of year, and location. Such  
2 an exploration could enable consideration of not only the emissions reductions  
3 resulting from total energy savings, but also factor in the performance of its  
4 DSM/EE portfolio during specific times of the year, including during peak vs. off-  
5 peak hours.

6 **Q. DO YOU HAVE ANY RECOMMENDATIONS FOR THIS PROCEEDING**  
7 **CONCERNING CARBON EMISSIONS TRACKING?**

8 A. Yes. The Commission should direct DEP to report carbon reductions from its  
9 DSM/EE portfolios and discuss future strategies to decarbonize through its  
10 portfolio in DSM/EE recovery rider dockets going forward. Doing so would  
11 provide the Commission, and the public, with important insight into the  
12 relationship between investments made in DEP's DSM/EE programs and the  
13 utility's progress towards achieving the Company and the State's decarbonization  
14 goals. This information could also prove useful in aiding the Company to optimize  
15 program delivery to increase carbon emissions reductions. To my knowledge, there  
16 is no other proceeding where DEP reports the carbon emissions reductions  
17 alongside its annual DSM/EE portfolio savings results. The annual DSM/EE Rider  
18 docket would appear to be the best place for regular reporting of this data.

19 **X. Conclusion**

20 **Q. DO YOU HAVE ANY CONCLUDING STATEMENT?**

21 A. Yes, I want to thank the Commission for the Orders it has issued in various  
22 proceedings over the past year that facilitate improvements and expansions of  
23 DEP's DSM/EE portfolio, as well as policy changes that continue to evolve the  
24 underlying policy framework for DSM/EE in North Carolina, which is the

1 foundation of this work. I respectfully ask for the Commission's consideration of  
2 the actionable recommendations summarized at the beginning of this testimony.  
3 Even as there is much still to achieve, what has been accomplished already should  
4 be a source of great pride, as it continues to keep North Carolina ahead of its peers  
5 in the Southeast region. This concludes my testimony.

1 BY MR. MOORE:

2 Q Mr. Bradley-Wright, did you prepare a summary of  
3 your testimony?

4 A Yes, I did.

5 Q Would you please read your summary to the  
6 Commission.

7 A Indeed. Commissioner Brown-Bland, fellow  
8 Commissioners, I thank you for the opportunity to  
9 speak today. My name is Forest Bradley-Wright.

10 I am the energy Efficiency Director for  
11 the Southern Alliance for Clean Energy. I'm  
12 appearing on behalf of the North Carolina Justice  
13 Center, the North Carolina Housing Coalition, and  
14 the Southern Alliance for Clean Energy. I  
15 appreciate the opportunity to testify today.

16 In 2020, Duke Energy Progress'  
17 Efficiency Savings declined by 12.2 percent and  
18 the company, once again, fell short of the 1  
19 percent annual savings target that it agreed to  
20 in the Duke and Progress Energy merger.

21 Some of this most recent decline can be  
22 explained by the Covid 19 pandemic and its impact  
23 on delivery of in-home efficiency services.

24 DEP still lags considerably behind its

1 neighboring operating company, Duke Energy  
2 Carolinas, which is also troubling, given the  
3 lower levels of investment that DEP has directed  
4 towards its low-income energy efficiency  
5 programs.

6 My testimony makes several suggestions  
7 to ensure that these concerning trends are  
8 reversed. Unfortunately, Duke Energy Progress'  
9 forecast for efficiency savings in 2022, once  
10 again, falls short of its sister company, Duke  
11 Energy Carolinas, and the 1 percent savings  
12 target.

13 Many Collaborative members have made it  
14 clear that the 1 percent savings target is  
15 important to their participation.

16 To that end, Collaborative members have  
17 contributed considerable amounts of time and  
18 submitted numerous program proposals to help to  
19 increase efficiency savings.

20 But as my testimony details, there's  
21 been little visible action toward implementing  
22 those recommendations, and Duke has yet to submit  
23 a collaborative recommended program application  
24 to the Commission for approval.

1 In the past year, North Carolina  
2 Utilities Commission has approved a switch to the  
3 utility cost test and authorized a half million  
4 dollar performance bonus for Duke Energy Progress  
5 reaching 1 percent annual savings, which should  
6 both aid and induce the company to deliver higher  
7 efficiency savings.

8 Yet Duke savings forecast does not  
9 reflect new savings opportunities from use of the  
10 utility cost test, and the company does not  
11 appear to have a plan for reaching 1 percent  
12 annual savings in 2022.

13 In fact, the company claims not to have  
14 even calculated what it would take to reach that  
15 mark. Meanwhile, Duke Energy Carolinas and  
16 nearly half of the nation's large utilities have  
17 exceeded 1 percent annual savings.

18 Suggestiveness is an achievable goal,  
19 but it is one Duke Energy Progress is unlikely to  
20 reach if it doesn't have a plan to do so.

21 Thus, I urge the Commission to require  
22 DEP to develop and submit such a plan and urge  
23 the Company to renew its efforts to work with  
24 members of the Collaborative to develop such a

1 plan for implementation.

2 My testimony next addresses DEP's  
3 low-income energy efficiency programs. I note  
4 that progress has been made on this issue over  
5 the last several years.

6 Sadly and explicably, however, savings  
7 and spending on DEP's low-income programs have  
8 trailed far behind those at DEC.

9 My testimony encourages the Commission  
10 to direct DEP to proportionately increase its  
11 low-income efficiency program budgets up to DEC  
12 levels, which would be approximately \$5.4 million  
13 annually, and to work with the Collaborative and  
14 draw insight from its sister company to develop  
15 offerings that increase total savings and provide  
16 more meaningful bill reductions for individual  
17 low-income customers.

18 I ask that the Commission consider  
19 providing more explicit direction in its order in  
20 this proceeding such as deliverables and  
21 timelines, like those of his order from the  
22 low-income affordability collaborative and rate  
23 design collaborative.

24 Doing so should lead to greater

1 progress in these important issues. Finally, my  
2 testimony discusses the links between this  
3 proceeding and the decarbonization targets  
4 included in the North Carolina Clean Energy plan.

5 As Duke Energy's 2020 climate report  
6 noted, Demand-Side Management and Efficiency are  
7 some of the most effective means of carbon  
8 reduction.

9 Nevertheless, to my knowledge, the  
10 company has never quantified and reported the  
11 carbon reduction impact of its DSM/EE portfolio.

12 My testimony argues that these annual  
13 recovery rider proceedings can and should be a  
14 place to ensure that DEP's DSM/EE efforts are  
15 aligned with the State's goals in the Clean  
16 Energy Plan and the Company's own carbon  
17 reduction goals.

18 The Commission should direct DEP to  
19 track and report carbon reductions from its  
20 DSM/EE efforts.

21 Doing so would provide Commission and  
22 the public with valuable insight into the link  
23 between investment in DSM/EE programs and  
24 decarbonization of our electric system.

1                   Thank you, again, for the opportunity  
2                   to address you today. This concludes my summary.

3                   MR. MOORE: Thank you. Mr. Bradley-Wright  
4                   is available for cross-examination and Commission  
5                   questions.

6                   COMMISSIONER BROWN-BLAND: Is there  
7                   cross-examination for this witness, beginning with the  
8                   Company, the Applicant?

9                   MS. FENTRESS: No cross. Thank you.

10                  COMMISSIONER BROWN-BLAND: CIGFUR?

11                  MS. CRESS: No questions. Thank you.

12                  COMMISSIONER BROWN-BLAND: CUCA?

13                  MR. SCHAUER: No questions.

14                  COMMISSIONER BROWN-BLAND: And the Public  
15                  Staff?

16                  MS. LUHR: No questions.

17                  COMMISSIONER BROWN-BLAND: Are there  
18                  questions from the Commissioners?

19                                 (No response)

20                  COMMISSIONER BROWN-BLAND: I'm not seeing  
21                  any, so Mr. Bradley-Wright, you get off light today.

22                  MR. BRADLEY-WRIGHT: Pleasure to be here.  
23                  Thank you.

24                  COMMISSIONER BROWN-BLAND: Mr. Moore.

NORTH CAROLINA UTILITIES COMMISSION

1 MR. MOORE: Yes. At this time, I would like  
2 to move Mr. Bradley-Wright's Exhibits 1 through 11  
3 into evidence as marked.

4 COMMISSIONER BROWN-BLAND: Without  
5 objection, they will be received into evidence.  
6 Mr. Bradley-Wright, you are free to -- you're excused.  
7 We are proceeding along to the Public Staff.

8 (WHEREUPON, Exhibits FBW-1  
9 through FBW-11 are admitted into  
10 evidence.)

11 MS. LUHR: Thank you. The Public Staff now  
12 calls David Williamson to the stand.

13 DAVID M. WILLIAMSON;  
14 having been duly affirmed,  
15 testified as follows:

16 COMMISSIONER BROWN-BLAND: Ms. Luhr.

17 DIRECT-EXAMINATION BY MS. LUHR:

18 Q Mr. Williamson, would you please state your name,  
19 business address and position, for the record.

20 A My name is David Williamson and I'm an engineer  
21 with the Public Staff's Energy Division, and my  
22 address is 430 North Salisbury Street, Raleigh,  
23 North Carolina.

24 Q And on September 9th, 2021, did you prepare and

1           cause to be filed testimony consisting of 24  
2           pages, an appendix, and two exhibits?

3       A     That's correct.

4       Q     Do you have any changes or corrections to your  
5           testimony appendix or exhibits?

6       A     No, I do not.

7       Q     And if you were asked the same questions today,  
8           would your answers be the same?

9       A     Yes, they would.

10           MS. LUHR: And we would request that  
11       Mr. Williamson's testimony be admitted into evidence  
12       as if given orally from the witness stand and that his  
13       exhibits be marked.

14           COMMISSIONER BROWN-BLAND: Without  
15       objection, Mr. Williamson's testimony will be received  
16       into evidence and treated as if given orally from the  
17       witness stand. And his exhibits will be identified as  
18       they were marked when prefiled, as well as the  
19       appendix.

20           MS. LUHR: Thank you.

21                       (WHEREUPON, Williamson Appendix A  
22                       and Exhibits 1 & 2 are marked for  
23                       identification as prefiled.)

24                       (WHEREUPON, the prefiled direct

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

testimony of DAVID M. WILLIAMSON  
is copied into the record as if  
given orally from the stand.)

## BEFORE THE NORTH CAROLINA UTILITIES COMMISSION

DOCKET NO. E-2, SUB 1273

In the Matter of	)	
Application by Duke Energy Progress,	)	TESTIMONY OF
LLC, for Approval of Demand-Side	)	DAVID M. WILLIAMSON
Management and Energy Efficiency	)	PUBLIC STAFF – NORTH
Cost Recovery Rider Pursuant to N.C.	)	CAROLINA UTILITIES
Gen. Stat. § 62-133.9 and Commission	)	COMMISSION
Rule R8-69		

OFFICIAL COPY

Sept 06 2021

**BEFORE THE NORTH CAROLINA UTILITIES COMMISSION****DOCKET NO. E-2, SUB 1273****Testimony of David M. Williamson****On Behalf of the Public Staff****North Carolina Utilities Commission****September 9, 2021**

1    **Q.    PLEASE STATE YOUR NAME, BUSINESS ADDRESS, AND**  
2       **PRESENT POSITION.**

3    A.    My name is David M. Williamson. My business address is 430 North  
4       Salisbury Street, Dobbs Building, Raleigh, North Carolina. I am a  
5       Utilities Engineer with the Energy Division of the Public Staff, North  
6       Carolina Utilities Commission.

7    **Q.    BRIEFLY STATE YOUR QUALIFICATIONS AND DUTIES.**

8    A.    My qualifications and duties are included in Appendix A.

9    **Q.    WHAT IS THE PURPOSE OF YOUR TESTIMONY?**

10   A.    The purpose of my testimony is to present the Public Staff's analysis  
11       and recommendations with respect to the following aspects of the  
12       June 15, 2021 application, testimony, and exhibits, and August 11,  
13       2021 supplemental testimony and exhibit of Duke Energy Progress,  
14       LLC (DEP or the Company), for approval of its demand-side

1 management (DSM) and energy efficiency (EE) cost recovery rider  
2 for 2022 (2022 Rider).

3 This testimony discusses: (1) the portfolio of DSM/EE programs  
4 included in the proposed 2022 Rider, including modifications of those  
5 programs made pursuant to the Flexibility Guidelines;<sup>1</sup> (2) the  
6 ongoing cost-effectiveness of each DSM/EE program; (3) the  
7 concerns of the Public Staff with various DSM/EE programs going  
8 forward; and (4) the evaluation, measurement, and verification  
9 (EM&V) studies filed as Exhibits A through D to the testimony of  
10 Company witness Robert P. Evans, and the additional EM&V study  
11 filed as Evans Supplemental Exhibit E to the supplemental testimony  
12 of witness Evans.

13 **Q. WHAT DOCUMENTS HAVE YOU REVIEWED IN YOUR**  
14 **INVESTIGATION OF DEP'S PROPOSED 2022 RIDER?**

15 A. I reviewed the application and supporting testimony and exhibits, the  
16 Company's supplemental testimony and exhibits, and DEP's  
17 responses to Public Staff data requests. In addition, I reviewed  
18 previous Commission orders related to DEP's DSM and EE

---

<sup>1</sup> The "Flexibility Guidelines" were included as Attachment A to the Cost Recovery and Incentive Mechanism approved by the Commission by Order dated January 20, 2015 in Docket No. E-2, Sub 931.

1 programs and cost recovery rider proceedings, including the  
2 Commission's Order Approving DSM/EE Rider, Revising DSM/EE  
3 Mechanism, and Requiring Filing of Proposed Customer Notice  
4 issued November 27, 2017, in Docket No. E-2, Sub 1145, which  
5 revised the Cost Recovery and Incentive Mechanism originally  
6 approved in Docket No. E-2, Sub 931 (2017 Mechanism). I also  
7 reviewed the Cost Recovery and Incentive Mechanism approved on  
8 October 20, 2020 in the Commission's Order Approving Revisions to  
9 Demand-Side Management and Energy Efficiency Cost Recovery  
10 Mechanisms in Docket No. E-2, Sub 931 (2020 Mechanism).

11 **Q. PLEASE SUMMARIZE YOUR RECOMMENDATIONS.**

12 A. The Public Staff makes the following recommendations to the  
13 Commission:

- 14 1. That the method for calculating the Reserve Margin  
15 Adjustment Factor, as proposed, be accepted and used for  
16 the calculation of avoided capacity benefits for EE measures  
17 for future vintages;  
18
- 19 2. That the Company work with the Public Staff in an expeditious  
20 manner to draft language to incorporate in its cost recovery  
21 mechanism to reflect inclusion of the reserve margin  
22 adjustment factor; and  
23
- 24 3. That the Evaluation, Measurement, and Verification reports  
25 filed by DEP as Evans Exhibits A through D and Evans  
26 Supplemental Exhibit E be accepted.

27 **Q. ARE YOU PROVIDING ANY EXHIBITS WITH YOUR TESTIMONY?**

1 A. Yes. I have two exhibits, described below:

- 2 • Exhibit 1: Proposed Cost Effectiveness Scores for Vintage  
3 Years 2020, 2021, and 2022; and  
4 • Exhibit 2: Current Actual Cost Effectiveness Scores for  
5 Vintage Years 2018, 2019, and 2020.  
6

DSM/EE Programs in the 2022 Rider

7 **Q. PLEASE IDENTIFY THE DSM/EE PROGRAMS FOR WHICH DEP**  
8 **IS SEEKING COST RECOVERY THROUGH THE DSM/EE RIDER**  
9 **IN THIS PROCEEDING.**

10 A. In its proposed 2022 Rider, DEP included the costs and incentives  
11 associated with the following programs:

- 12 • Residential
- 13 ○ EE Education Program (Sub 1060)
- 14 ○ Multi-Family EE Program (Sub 1059)
- 15 ○ My Home Energy Report (MyHER) Program (formerly  
16 the EE Benchmarking Program) (Sub 989)
- 17 ○ Neighborhood Energy Saver (Low-Income) Program  
18 (Sub 952)
- 19 ○ Residential Smart \$aver EE Program (formerly HEIP)  
20 (Sub 936)
- 21 ○ New Construction Program (Sub 1021)
- 22 ○ Load Control Program (EnergyWise Home) (Sub 927)

- 1                   ○ Save Energy and Water Kit Program (Sub 1085) (now
- 2                   part of the EE Appliance and Devices Program)
- 3                   ○ Energy Assessment Program (Sub 1094)
- 4                   ○ Low-Income Weatherization Pay for Performance
- 5                   Program (Sub 1187)
- 6                   ○ Energy Efficient Appliance and Devices Program (Sub
- 7                   936 and 1174)
- 8           • Non-Residential
- 9                   ○ Non-Residential Smart \$aver Energy Efficient Products
- 10                  and Assessment Program (formerly Energy Efficiency for
- 11                  Business Program) (Sub 938)
- 12                  ○ Non-Residential Smart \$aver Performance Incentive
- 13                  Program (Sub 1126)
- 14                  ○ Small Business Energy Saver Program (Sub 1022)
- 15                  ○ CIG Demand Response Automation (CIG DRA) Program
- 16                  (Sub 953)
- 17                  ○ EnergyWise for Business (Sub 1086)
- 18           • Combined Residential and Non-Residential
- 19                  ○ Energy Efficient Lighting Program (EE Lighting) (Sub 970)

I also note that since the last rider proceeding, DEP has received Commission approval to modify the Residential Multi-Family EE, EnergyWise Home, and Small Business Energy Saver programs.

17 Q. HOW IS THE COST-EFFECTIVENESS OF DEP'S DSM/EE  
18 PROGRAMS EVALUATED?

19 A. The Public Staff reviews the cost-effectiveness of the individual  
20 DSM/EE programs when they are proposed for approval and then

1 annually in the rider proceedings. Pursuant to both the 2017  
2 Mechanism and 2020 Mechanism, cost-effectiveness is evaluated at  
3 both the program and portfolio levels. The Public Staff reviews cost-  
4 effectiveness using the Utility Cost (UC), Total Resource Cost (TRC),  
5 Participant, and Ratepayer Impact Measure (RIM) tests. Under each  
6 of these four tests, a result above 1.0 indicates that a program is  
7 cost-effective.

8 A program may be above 1.0 on one or more tests, and below 1.0 on  
9 other tests. The Public Staff, as well as the Revised Mechanism,  
10 places greater weight on the UC test.

11 The TRC test represents the combined utility and participant benefits  
12 that will result from implementation of the program; a result greater  
13 than 1.0 indicates that the benefits outweigh the costs of a program  
14 to both the utility and the program's participants. A UC test result  
15 greater than 1.0 means that the program is cost beneficial<sup>2</sup> to the  
16 utility (the overall system benefits are greater than the utility's costs,  
17 including incentives paid to participants). The Participant test is used  
18 to evaluate the benefits against the costs specific to those ratepayers

---

<sup>2</sup> "Cost beneficial" in this sense represents the net benefit achieved by avoiding the need to construct additional generation, transmission, and distribution facilities related to providing electric utility service, and/or avoiding energy generation from existing or new facilities or purchased power.

1 who participate in a program. The RIM test is used to understand  
2 how ratepayers who do not participate in a program will be impacted  
3 by the program.

4 **Q. HOW IS COST-EFFECTIVENESS EVALUATED IN DSM/EE RIDER**  
5 **PROCEEDINGS?**

6 A. In each DSM/EE rider proceeding, DEP files the projected  
7 cost-effectiveness of each program and for the portfolio as a whole  
8 for the upcoming rate period (Evans Exhibit 7). Subsequently, when  
9 new DSM/EE programs are approved under Commission Rule  
10 R8-68, potential cost-effectiveness is evaluated over a three to five  
11 year period using estimates of participation and measure attributes  
12 that can be reasonably expected over that period. The evaluations in  
13 DSM/EE rider proceedings look more specifically at the actual  
14 performance of a typical measure, providing an indication of what to  
15 expect over the next year. Each year's rider filing is updated with the  
16 most current EM&V data and other program performance data.

17 **Q. HOW DOES THE PUBLIC STAFF ASSESS COST-**  
18 **EFFECTIVENESS IN EACH RIDER?**

19 A. The Public Staff compares the cost-effectiveness test projections  
20 from previous DSM/EE proceedings to the current filing, and  
21 develops a trend of cost-effectiveness projections that serves as the

1 basis for the Public Staff's recommendation on whether a program  
2 should: (1) continue as currently implemented, (2) be watched for  
3 signs of continued decreasing cost-effectiveness combined with  
4 Company efforts to improve cost-effectiveness, or (3) be terminated.

5 **Q. HOW DO THE FORWARD-LOOKING COST-EFFECTIVENESS**  
6 **TEST SCORES FILED IN THIS RIDER COMPARE TO SCORES**  
7 **IDENTIFIED IN PREVIOUS RIDERS?**

8 A. While many programs continue to be cost-effective, the TRC and UC  
9 scores as filed by the Company for all programs have a natural ebb  
10 and flow over the years of DSM/EE rider proceedings, meaning that  
11 the value of the inputs used in determining their scores change over  
12 time. Such changes are mainly driven by updates to the avoided cost  
13 rate determinations. In addition, changes to cost-effectiveness are  
14 also attributable to updates in the unit savings as determined through  
15 EM&V of the program. As programs mature and baseline standards  
16 increase, or as avoided cost rates decrease, it becomes more difficult  
17 for a program to produce cost-effective savings. On the other hand,  
18 some programs have experienced greater than expected

1 participation, which usually results in greater savings per unit cost,  
2 generally increasing cost-effectiveness.

3 Changes in the Company's forward-looking cost-effectiveness test  
4 scores are shown for Vintage Years 2020, 2021, and 2022 in  
5 Williamson Exhibit No. 1.

6 In addition to the forward-looking cost-effectiveness test results, as  
7 most of the EM&V reports for the Company's portfolio of programs  
8 are completed, the Company has been able to provide the Public  
9 Staff with updated, actual cost-effectiveness test results for each  
10 program and program year over the Vintage Years 2018, 2019, and  
11 2020.

12 **Q. HOW DO THE ACTUAL COST-EFFECTIVENESS TEST SCORES**  
13 **COMPARE TO THE FORWARD-LOOKING SCORES IDENTIFIED**  
14 **IN PREVIOUS RIDERS?**

15 A. Understanding that the incorporation period of EM&V within the  
16 portfolio may be different from one program to another, having a  
17 rolling record of actual cost-effectiveness results provides the Public  
18 Staff with confirmation that the activities within the portfolio have  
19 been and continue to be worthwhile. In addition, actual test results  
20 highlight programs that ultimately do not perform at or above the  
21 original projection. The actual cost-effectiveness results for DEP's

1 portfolio of programs are shown in Williamson Exhibit No. 2. These  
2 test results are a reflection of the annual updates in cost-  
3 effectiveness due to completed EM&V and finalized participation  
4 numbers.

5 The current state of actual cost-effectiveness is showing a downward  
6 trend for most programs, with regard to the TRC and UC tests. The  
7 remaining programs appear to be stable with their annual TRC and  
8 UC test results.

9 Program Performance

10 **Q. PLEASE DISCUSS THE PERFORMANCE OF THE PORTFOLIO.**

11 A. The Company's DSM/EE portfolio offers a wide variety of measures  
12 to support the everyday activities of its customers. Our review of  
13 program performance involves: (1) reviewing cost-effectiveness  
14 trends; and (2) reviewing Evans Exhibit 6, which provides specific  
15 information on each program's marketing strategy, potential areas of  
16 concern, and an overall qualitative analysis.

17 The Public Staff also uses its involvement in the Company's bi-  
18 monthly EE collaborative meetings to determine how a program is  
19 performing. During these meetings, the Collaborative discusses  
20 program performance (participation, customer engagement, and

1 potential barriers to entry and continuation of the program), recently  
2 completed EM&V and market potential study activities, and potential  
3 new program offerings.

4 Relying on all of the resources mentioned above, the Public Staff  
5 believes that the historical performance of the Company's programs  
6 is reasonable. However, I have a number of concerns with the  
7 portfolio that I wish to bring to the Commission's attention for  
8 consideration in future rider proceedings.

9 Public Staff's Concerns

10 **Q. PLEASE DISCUSS THE PUBLIC STAFF'S CONCERNS**  
11 **REGARDING THE PORTFOLIO.**

12 A. I have the following areas of concern regarding DEP's DSM/EE  
13 portfolio:

- 14 a. Changes to the Company's Referral Channel for its  
15 Residential Smart Saver EE program to incorporate  
16 referrals to services unrelated to DSM/EE; and  
17 b. The recovery of DSDR-related costs in the Company's  
18 DSM/EE rider.

19

20

1                   Residential Smart Saver EE Program – Referral Channel

2   **Q.     PLEASE DISCUSS THE SMART SAVER “FINDITDUKE”**  
3           **PLATFORM.**

4   A.     As noted in my testimony in Sub 1252, in the last few years, the  
5           Company transitioned its referral channel for the Residential Smart  
6           Saver program into a broader channel providing a gamut of services  
7           (EE-related and non EE-related) for customers.

8           During the discovery process, the Public Staff learned that the  
9           FindItDuke channel is available to both customers and non-  
10          customers. Anyone needing a contractor for one of the “FindItDuke”  
11          listed services may contact Duke Energy for recommendations  
12          related to residential and non-residential projects. The contractors  
13          have paid a fee to Duke Energy to participate in the program. All of  
14          these revenues flow into the Residential Smart Saver Program.

15          To begin the process, Duke Energy first refers a contractor to the  
16          customer/non-customer. Several of the services provided through  
17          this channel are not related to EE, such as building electrical  
18          services, solar installation, and tree removal services. The contractor  
19          will assess the problem that the customer is experiencing, then  
20          perform the necessary work, either EE or non-EE, to resolve the  
21          issue or complete the request.

1           Additionally, the Public Staff recently learned in the public  
2           stakeholder group meeting for the Electric Transportation Pilot that  
3           the Company intends to utilize the FindItDuke initiative to provide  
4           referrals to customers for installations of electric vehicle charging  
5           stations.

6           The Public Staff has concerns about how the FindItDuke channel  
7           allows all the benefits to flow to the Residential Smart Saver  
8           program, a residential EE program for DEP customers, when the  
9           work done is not always related to an actual EE installation, a  
10          residential customer, or even a customer of Duke Energy. While the  
11          Public Staff appreciates DEP's efforts to improve the cost-  
12          effectiveness of the Residential Smart Saver Program by having the  
13          revenues from the participating contractors flow to the program, it  
14          appears that some of these revenues should be booked into other  
15          non-EE accounts.

16   **Q.    DOES THE PUBLIC STAFF HAVE ANY RECOMMENDATIONS**  
17   **REGARDING THE SMART SAVER FINDITDUKE PLATFORM?**

18   A.    The Public Staff believes that the Company should work to refine its  
19          referral channel accounting to only allow referral dollars specifically  
20          related to Residential EE work to be included in the referral channel  
21          for the Residential Smart Saver program, and book other revenues

1 appropriately. Public Staff witness Maness discusses other  
2 accounting issues involving the FindItDuke platform.

3 Since the filing of the Company's application in this proceeding, the  
4 Public Staff and DEP have reached an agreement regarding the  
5 FindItDuke Program. The Public Staff and DEP have agreed to work  
6 to resolve the Public Staff's concerns with the FindItDuke program in  
7 the coming months and report on these efforts in their testimony filed  
8 in the 2022 DSM/EE Rider proceeding. Thus, for the purposes of this  
9 proceeding, the Public Staff and DEP have agreed that DEP should  
10 not be required to make any changes to its accounting related to  
11 FindItDuke costs or revenues at this time. This is subject to the  
12 caveat that the Public Staff is still in the process of reviewing data  
13 responses received from the Company regarding FindItDuke costs,  
14 and that once this review is complete, the Public Staff will file with  
15 the Commission any findings related to the program not already set  
16 forth in testimony.

17 Recovery of DSDR Costs

18 **Q. PLEASE DISCUSS YOUR CONCERNS REGARDING THE**  
19 **RECOVERY OF DSDR-RELATED COSTS**

1 A. In DEP's most recent rate case, the Commission ordered that "in its  
2 next general rate case DEP shall file a proposal for moving all DSDR  
3 and CVR costs into base rates."<sup>3</sup> The Commission explained that:

4 [w]hile the CVR conversion costs are included in the  
5 deferral requested in this rate case, DEP apparently  
6 plans to recover other DSDR-related GIP costs in the  
7 Company's DSM/EE rider. The Commission finds this  
8 bifurcated approach to cost recovery for CVR/DSDR to  
9 be potentially problematic. In addition, the Commission  
10 notes that fuel savings from CVR will flow to all  
11 customers via the fuel rider (as DSDR fuel savings do  
12 currently), while the bulk of costs for the legacy DSDR  
13 system are being recovered via DEP's DSM/EE rider.  
14 Pursuant to N.C.G.S. § 62-133.9(f), industrial  
15 customers can avoid DSM/EE rider charges and hence  
16 would receive the additional fuel savings benefits of the  
17 CVR conversion without paying their share of a major  
18 portion of the related system costs. Due to this  
19 misalignment of costs and benefits the Commission will  
20 require DEP to file a proposal to move all DSDR and  
21 CVR costs into base rates when the Company files its  
22 next general rate case.<sup>4</sup>

23 The Public Staff agrees with the Commission that the Company's  
24 DSDR-related costs belong in base rates, and looks forward to  
25 reviewing the Company's proposal for implementing this change in  
26 its next general rate case.

27 Avoided Cost

---

<sup>3</sup> April 16, 2021 Order Accepting Stipulations, Granting Partial Rate Increase, and Requiring Customer Notice, Docket No. E-2, Sub 1219, at 202.

<sup>4</sup> *Id.* at 142.

1   **Q.    HAS THE COMPANY PROPOSED A MODIFICATION TO THE**  
2       **WAY AVOIDED COST BENEFITS ARE VALUED?**

3    A.    Yes, the Company has proposed to include in future proceedings a  
4       Reserve Margin Adjustment Factor (RMAF) as an adder in its  
5       calculation for avoided capacity rates that are applied to EE  
6       measures that contribute system demand savings.

7   **Q.    PLEASE DESCRIBE THE RMAF ADJUSTMENT.**

8    A.    The RMAF adjustment is an adder applied to the avoided capacity  
9       benefits associated with the demand reductions of EE measures on  
10       the system. No RMAF adjustment is made to the avoided capacity  
11       benefits generated from DSM programs as they are treated as  
12       resources for planning purposes. The RMAF adjustment attempts to  
13       align how the reserve margin is impacted by the inclusion of EE on  
14       the system. Given that EE measures are treated in the Integrated  
15       Resource Plan (IRP) as a reduction to the load forecast, it lowers the  
16       need to build capacity to, among other things, meet the reserve  
17       margin.

18       The RMAF percentage is applied to the capacity benefits of the EE  
19       programs much in the same manner as the Performance Adjustment  
20       Factor (PAF) is applied to the avoided capacity benefits provided by  
21       Qualifying Facilities (QFs) that are compensated under a standard

1 offer PURPA<sup>5</sup> contract. The RMAF attempts to treat the impacts of  
2 EE programs the same as the reserve margin does for the capacity  
3 resources identified in the IRP (i.e., 17%).

4 To take into consideration the PAF, the Company has proposed  
5 removing the impacts associated with the PAF from the 17% target,  
6 resulting in an RMAF percentage of 11.429%.

7 **Q. HAS THE COMPANY INCLUDED AN RMAF ADJUSTMENT IN**  
8 **PRIOR VINTAGES?**

9 A. Yes. An RMAF was included for the first time in Rider 12 in Docket  
10 No. E-2, Sub 1252 (Sub 1252). Prior to Vintage Year 2021, an RMAF  
11 has not been included in the avoided capacity rates calculated from  
12 the applicable Avoided Cost Proceeding, as determined from the  
13 Mechanism. However, a PAF has been recognized in both the  
14 Avoided Cost proceedings and in the DSM/EE application of avoided  
15 cost.

16 **Q. DID THE COMMISSION RULE ON THIS MATTER IN SUB 1252?**

17 A. Yes. The Commission, in its December 17, 2020 Order Approving  
18 DSM/EE Rider, Subject to Filing of Final Billing Factors and  
19 Proposed Customer Notice issued in Sub 1252 (Sub 1252 Order),

---

<sup>5</sup> Public Utility Regulatory Policies Act (PURPA), Pub. L. 95-617, 92 Stat. 3117, enacted November 9, 1978.

1 stated that it agreed with Public Staff witness J. Robert Hinton that  
2 there was a theoretical basis for such an adjustment, and continued  
3 on to say that:

4 The Commission notes that EE is treated as a load  
5 resource in the Company's IRP and agrees that with  
6 every kW of load reduction that comes from EE, the  
7 amount of load serving capacity for which the  
8 Company must plan is reduced by more than one kW.  
9 However, exactly how much the reserve margin  
10 adjustment should be is not supported by substantial  
11 evidence in this docket. The Commission concludes  
12 that, for purposes of calculating the avoided capacity  
13 cost benefits for DSM/EE programs, deviation from the  
14 approved methodology for calculating the avoided  
15 capacity costs that form the basis for rates paid to QFs  
16 is appropriate and that this matter should be studied by  
17 the Collaborative.

18 **Q. DO YOU AGREE WITH THE COMPANY'S PROPOSAL OF THE**  
19 **RMAF ADJUSTMENT?**

20 A. Yes, for purposes of this proceeding, as currently proposed, the  
21 Public Staff accepts the inclusion of an RMAF adjustment.

22 However, the Public Staff opposes the Company making changes to  
23 the methodology for calculating inputs to the Mechanism or for  
24 calculating the Mechanism without first bringing the changes to the  
25 attention of the other parties for review and to the Commission for  
26 approval. The Company should explain in direct testimony in each  
27 rider proceeding the rationale for, and the effect of, any changes it  
28 has made, or wishes to make, in its methodology or calculations.

A. The Public Staff believes that the RMAF adjustment should be included in the calculation of avoided capacity benefits of EE measures for future vintages. In calculating the RMAF adjustment, the currently approved PAF should be removed from the recognized IRP reserve margin, as DEP has proposed in this proceeding.

7 In addition, the Company should collaborate with the Public Staff to  
8 codify this language in its cost recovery mechanism in an expeditious  
9 manner in order to reflect this process change.

EM&V

12 A. Yes. The Public Staff contracted the services of GDS Associates,  
13 Inc. (GDS) to assist with review of EM&V. With GDS's assistance, I  
14 have reviewed the EM&V reports filed in this proceeding as Evans  
15 Exhibits A through D, as well as Evans Supplemental Exhibit E.

16 I also reviewed previous Commission orders to determine if DEP  
17 complied with provisions regarding EM&V contained in those orders.  
18 My review leads me to conclude that the Company is complying with  
19 the various Commission orders regarding EM&V of their DSM/EE  
20 portfolio.

1   **Q.   DO YOU HAVE ANY RECOMMENDATIONS REGARDING THE**  
2       **EM&V REPORTS YOU REVIEWED?**

3   A.   I have recommendations regarding the EM&V reports for the Save  
4       Energy and Water Kit (SEWK) Program (Evans Exhibit A) and Non-  
5       Residential Smart Saver Prescriptive Program (Evans Exhibit C).

6   **Q.   PLEASE EXPLAIN YOUR RECOMMENDATION FOR THE SEWK**  
7       **PROGRAM.**

8   A.   The savings and impacts of the SEWK program were evaluated by  
9       Nexant (Evans Exhibit A) for the period spanning September 2018  
10      to August 2019. The Public Staff's recommendation in the recent  
11      DEP proceeding (Sub 1252) noted that a continued review was  
12      needed to investigate the discrepancies between the billing and  
13      engineering analyses.

14   **Q.   WHAT ARE YOUR FINDINGS FROM THE CONTINUED**  
15      **INVESTIGATION?**

16   A.   The results of the continued investigation have not led to a definitive  
17      answer as to why the billing and engineering analyses for this  
18      program are so different. Thus, the Public Staff has advocated, and  
19      will continue to advocate, for the appropriate application of billing  
20      versus engineering analyses when it comes to determining impacts.  
21      However, for purposes of this proceeding, the Public Staff  
22      recommends that the SEWK program report not be delayed, and for

1 it to be accepted, with the condition that further reports presented by  
2 Duke Energy that have discrepancies between the billing and  
3 engineering analyses provide additional information regarding why a  
4 particular analysis was chosen for purposes of that report.

5 **Q. PLEASE EXPLAIN YOUR RECOMMENDATION FOR THE NON-**  
6 **RESIDENTIAL SMART SAVER PRESCRIPTIVE PROGRAM.**

7 A. The savings and impacts of the Non-Residential Smart Saver  
8 Prescriptive program were evaluated by Opinion Dynamics (Evans  
9 Exhibit C) for the period spanning March 1, 2017, to December 31,  
10 2018. Our review found that the data recording process for this  
11 evaluation could be optimized, specifically for lighting-related  
12 measures since these measures provide a bulk of the total savings  
13 associated with this program. During discovery, the Company  
14 provided information that revealed that while lighting impacts were  
15 being accurately accounted for, measure descriptions provided a  
16 range of wattages. This makes it challenging to review the data  
17 associated with this program. The Public Staff's investigation  
18 indicates that the impacts of these measures were accounted for  
19 appropriately and that this report should be accepted; however, the  
20 Company and its evaluator should work to refine how the Company  
21 records its measure-level impacts for this program.

22

1    **Q.    HAVE YOU CONFIRMED THAT THE COMPANY'S**  
2           **CALCULATIONS INCORPORATE THE VERIFIED SAVINGS OF**  
3           **THE VARIOUS EM&V REPORTS?**

4    A.    Yes. As in previous cost recovery proceedings, I was able, through  
5           sampling, to verify that the changes to program impacts and  
6           participation were appropriately incorporated into the rider  
7           calculations for each DSM/EE program, as well as the actual  
8           participation and impacts calculated with EM&V data. I reviewed: (1)  
9           workpapers provided in response to data requests; (2) a sampling of  
10          the EE programs; and (3) Evans Exhibit 1, which incorporates data  
11          from various EM&V studies. I also met with DEP personnel to review  
12          the calculations, EM&V, DSMore, and other data related to the  
13          program/measure participation and impacts. Based on my ongoing  
14          review of this data, I believe DEP has appropriately incorporated the  
15          findings from EM&V studies and annual participation into its rider  
16          calculations consistent with Commission orders and the 2020  
17          Mechanism. I will continue to review this information and, if  
18          necessary, file further information with the Commission should my  
19          review reveal any relevant issues that would cause me to alter my  
20          recommendations or conclusions.

21   **Q.    DOES THIS CONCLUDE YOUR TESTIMONY?**

22   A.    Yes.

1 BY MS. LUHR:

2 Q Mr. Williamson, would you please give your  
3 summary.

4 A Yes. My testimony addresses a number of topics,  
5 including a review of the performance and  
6 cost-effectiveness of Duke Energy Progress'  
7 portfolio DSM and EE programs, potential concerns  
8 with the portfolio going forward, and a review of  
9 the Company's EM&V reports filed in this  
10 proceeding.

11 I reviewed Duke Energy Progress'  
12 portfolio of approved DSM and EE programs. Each  
13 of these approved programs is eligible for cost  
14 recovery pursuant to the Commission rules and the  
15 cost recovery mechanism approved in Docket No.  
16 E-2. Sub 931, as revised in 2017 DSM/EE rider  
17 proceeding, Docket No. E-2, Sub 1145, and further  
18 revised on October 20, 2020.

19 My testimony highlights the metrics  
20 used to evaluate cost-effectiveness in the annual  
21 rider proceedings. I review cost-effectiveness  
22 trends to develop an expectation of each  
23 program's performance, costs, and measure-life  
24 benefits in the upcoming rate period, as well as

1 its ongoing cost-effectiveness.

2 I rely on these trends, as illustrated  
3 in my exhibits, to develop my recommendations  
4 concerning whether a program should be continued,  
5 modified, or terminated.

6 Several factors such as changes in  
7 participation, standards, or avoided costs also  
8 impact cost-effectiveness.

9 My testimony also provides a number of  
10 recommendations to the Commission. First, I  
11 recommend that the Commission accept the method  
12 proposed by the Company for calculating the  
13 Reserve Margin Adjustment Factor and its use in  
14 the calculation of avoided capacity benefits for  
15 EE measures for future Vintages.

16 Second, I recommend that the Company  
17 work with the Public Staff to draft language to  
18 incorporate the use of the Reserve Margin  
19 Adjustment Factor in its cost recovery mechanism.

20 Last, with regard to the Evaluation,  
21 Measurement, and Verification reports filed by  
22 the Company in previous DSM/EE rider proceedings,  
23 I believe the Company has complied with the  
24 Public Staff's earlier recommendations concerning

1 EM&V as ordered by the Commission.

2 The Public Staff generally agrees with  
3 the findings of the EM&V reports filed in this  
4 proceeding and Commission EM&V reports filed as  
5 Evans Exhibits A through D and Evans Supplemental  
6 Exhibit E should be considered complete for  
7 purposes of this proceeding.

8 In addition to these recommendations, I  
9 also noted two concerns with regard to DEP's  
10 DSM/EE portfolio.

11 Those are changes to the Company's  
12 referral channel for its Residential Smart Saver  
13 EE Program and the recovery DSDR- related costs  
14 in the Company's DSM/EE rider. This concludes my  
15 summary.

16 MS. LUHR: The witness is available for  
17 cross-examination.

18 COMMISSIONER BROWN-BLAND: Is there  
19 cross-examination for this witness, starting with the  
20 Company?

21 MS. FENTRESS: No cross. Thank you.

22 COMMISSIONER BROWN-BLAND: The Joint  
23 Intervenors?

24 MR. MOORE: No questions. Thank you.

NORTH CAROLINA UTILITIES COMMISSION

1 COMMISSIONER BROWN-BLAND: CIGFUR?

2 MS. CRESS: No questions. Thank you.

3 COMMISSIONER BROWN-BLAND: CUCA?

4 MR. SCHAUER: No questions. Thank you.

5 COMMISSIONER BROWN-BLAND: Are there  
6 questions from the Commission?

7 (No response)

8 COMMISSIONER BROWN-BLAND: I don't think the  
9 Commissioners want Mr. Williamson to get off so  
10 lightly. I just have one question for you,  
11 Mr. Williamson.

12 EXAMINATION BY COMMISSIONER BROWN-BLAND:

13 Q Witness Evans on page 10 of his direct, he  
14 indicated there that the PAF, Performance  
15 Adjustment Factor is intended to represent an  
16 estimated equivalent forced outage rate. Does  
17 the Public Staff now agree with that  
18 characterization?

19 MR. MOORE: Could you repeat where it was in  
20 his direct testimony again?

21 COMMISSIONER BROWN-BLAND: It is page 10,  
22 and I think it's lines 12 to 13.

23 MR. MOORE: I'm just trying to get it pulled  
24 up here.

1 COMMISSIONER BROWN-BLAND: If you know or  
2 have an opinion.

3 MR. MOORE: I'm looking over it now. Just  
4 how it's written, I believe that is a correct  
5 representation.

6 COMMISSIONER BROWN-BLAND: Are there -- any  
7 other Commissioner have a question?

8 (No response)

9 COMMISSIONER BROWN-BLAND: Seeing none, are  
10 there questions on Commission's questions?

11 (No response)

12 COMMISSIONER BROWN-BLAND: I'm hearing no  
13 one come forward, so Ms. Luhr.

14 MS. LUHR: At this time, I would request  
15 that Mr. Williamson's Appendix A and Exhibits 1 and 2  
16 be entered into evidence.

17 COMMISSIONER BROWN-BLAND: Without  
18 objection, that motion is allowed.

19 (WHEREUPON, Williamson's Appendix  
20 A and Exhibits 1 & 2 are admitted  
21 into evidence.)

22 MS. LUHR: And now is the appropriate time,  
23 I would also request that the testimony and appendices  
24 of Public Staff witness Maness, which were prefiled on

1 September 9th, 2021, be moved into the record and  
2 entered into evidence as if given orally from the  
3 stand.

4 COMMISSIONER BROWN-BLAND: I'm going to  
5 excuse Mr. Williamson from the stand. And that motion  
6 made by Ms. Luhr to receive the testimony of witness  
7 Maness will be allowed.

8 And his testimony is received as if given  
9 orally from the witness stand, and his appendices are  
10 received and identified as they were marked when  
11 prefilled.

12 (WHEREUPON, Maness Appendices  
13 A & B are marked for  
14 identification as prefilled and  
15 received into evidence.)

16 (WHEREUPON, the prefilled direct  
17 testimony of MICHAEL C. MANESS is  
18 copied into the record as if  
19 given orally from the stand.)  
20  
21  
22  
23  
24

## BEFORE THE NORTH CAROLINA UTILITIES COMMISSION

DOCKET NO. E-2, SUB 1273

In the Matter of  
Application of Duke Energy Progress, ) TESTIMONY OF  
LLC, for Approval of Demand-Side ) MICHAEL C. MANESS  
Management and Energy Efficiency ) PUBLIC STAFF – NORTH  
Cost Recovery Rider Pursuant to ) CAROLINA UTILITIES  
N.C.G.S. § 62-133.9 and Commission ) COMMISSION  
Rule R8-69 )

OFFICIAL COPY

Exp 06 2021

**BEFORE THE NORTH CAROLINA UTILITIES COMMISSION****DOCKET NO. E-2, SUB 1273****Testimony of Michael C. Maness****On Behalf of the Public Staff****North Carolina Utilities Commission****September 9, 2021**

1   **Q.   PLEASE STATE YOUR NAME, BUSINESS ADDRESS, AND**  
2       **PRESENT POSITION.**

3   A.   My name is Michael C. Maness. My business address is 430 North  
4       Salisbury Street, Dobbs Building, Raleigh, North Carolina. I am the  
5       Director of the Accounting Division of the Public Staff – North  
6       Carolina Utilities Commission (Public Staff).

7   **Q.   BRIEFLY STATE YOUR QUALIFICATIONS AND DUTIES.**

8   A.   A summary of my qualifications and duties is set forth in Appendix B  
9       of this testimony.

10   **Q.   WHAT IS THE PURPOSE OF YOUR TESTIMONY?**

11   A.   The purpose of my testimony is to present my recommendations  
12       regarding the Demand-Side Management (DSM) and Energy

1 Efficiency (EE) cost and incentive recovery rider (DSM/EE Rider),<sup>1</sup>  
2 proposed by Duke Energy Progress, LLC (DEP or the Company), in  
3 its Application filed in this docket on June 15, 2021 (Application). The  
4 DSM/EE Rider is authorized by N.C. Gen. Stat. § 62-133.9 and  
5 implemented pursuant to Commission Rule R8-69.

6 **Q. HOW IS YOUR TESTIMONY ORGANIZED?**

7 A. My testimony begins with a review of the regulatory framework for  
8 DSM/EE cost recovery by electric utilities and the historical  
9 background of DEP's Application in this docket. I then discuss the  
10 Company's proposed billing rates and other aspects of its filing.  
11 Following a summary of my investigation, I present my conclusions  
12 and recommendations regarding the proposed billing rates and the  
13 overall DSM/EE Rider.

14 **THE PROCESS FOR SETTING DEP'S DSM/EE**  
15 **REVENUE REQUIREMENTS**

16 **Q. PLEASE DESCRIBE THE BASIS FOR THE COMPANY'S FILING.**

17 A. N.C.G.S. § 62-133.9(d) allows a utility to petition the Commission for  
18 approval of an annual rider to recover (1) the reasonable and prudent  
19 costs of new DSM and EE measures; and (2) other incentives to the  
20 utility for adopting and implementing new DSM and EE measures.

---

<sup>1</sup> The DSM/EE Rider is comprised of various class-based DSM, EE, DSM Experience Modification Factor (DSM EMF), and Energy Efficiency Experience Modification Factor (EE EMF) billing rates.

1           However, N.C.G.S. § 62-133.9(f) allows industrial and certain large  
2           commercial customers to opt out of participating in the power  
3           supplier's DSM/EE programs or paying the DSM/EE rider, if each  
4           such customer notifies its electric power supplier that it has  
5           implemented or will implement, at its own expense, alternative DSM  
6           and EE measures. Commission Rule R8-69, which was adopted by  
7           the Commission pursuant to N.C.G.S. § 62-133.9(h), sets forth the  
8           general parameters and procedures governing approval of the  
9           annual rider, including, but not limited to: (1) provisions for both (a) a  
10          DSM/EE rider to recover the estimated costs and utility incentives  
11          applicable to the "rate period" in which that DSM/EE rider will be in  
12          effect; and (b) a DSM/EE experience modification factor (EMF) rider  
13          to recover the difference between the DSM/EE rider in effect for a  
14          given test period (plus a possible extension) and the actual  
15          recoverable amounts incurred during that test period; and (2)  
16          provisions for interest or return on amounts deferred and on refunds  
17          to customers.

18          In this proceeding, DEP has calculated its proposed DSM/EE Rider  
19          (incorporating both prospective and EMF DSM and EE billing rates)  
20          using, for vintage years prior to 2022, the Cost Recovery and  
21          Incentive Mechanism for Demand-Side Management and Energy  
22          Efficiency Programs approved by the Commission in Docket No. E-  
23          2, Sub 931 (Sub 931), on January 20, 2015, in its *Order Approving*

1        *Revised Cost Recovery and Incentive Mechanism and Granting*  
2        *Waivers* (2015 Sub 931 Order), as subsequently revised by the  
3        Commission in its August 23, 2017 *Order Approving DSM/EE Rider*  
4        *and Requiring Filing of Proposed Customer Notice* (Sub 1145 Order),  
5        issued in the Company's 2017 DSM/EE rider proceeding in Docket  
6        No. E-2, Sub 1145 (Sub 1145).<sup>2</sup> This revised mechanism is referred  
7        to herein as the 2017 Mechanism. However, on October 20, 2020,  
8        also in Sub 931, the Commission issued its *Order Approving*  
9        *Revisions to Demand-Side Management and Energy Efficiency Cost*  
10       *Recovery Mechanisms* (2020 Sub 931 Order), approving a revised  
11       Cost Recovery and Incentive Mechanism of Duke Energy Progress,  
12       LLC, for Demand-Side Management and Energy Efficiency  
13       Programs, to be effective January 1, 2022 (2020 Mechanism).<sup>3</sup>  
14       Therefore, the billing rates related to estimated Vintage Year 2022  
15       costs and utility incentives have been calculated in this proceeding  
16       by use of the 2020 Mechanism.

---

<sup>2</sup> Certain billing factor components consisting of costs incurred or incentives earned prior to January 1, 2016, but being carried forward to or amortized as part of the billing factors proposed in this proceeding, were determined pursuant to the Cost Recovery and Incentive Mechanism for Demand-Side Management and Energy Efficiency Programs (Initial Mechanism) approved by the Commission on June 15, 2009, in its *Order Approving Agreement and Stipulation of Partial Settlement, Subject to Certain Commission-Required Modifications*, in Docket No. E-2, Sub 931, as modified by the Commission's November 25, 2009, *Order Granting Motions for Reconsideration in Part*, in the same docket.

<sup>3</sup> In the same order, which was also issued in Docket No. E-7, Sub 1032, the Commission also approved a revised DSM/EE Cost Recovery and Incentive Mechanism for Duke Energy Carolinas, LLC (DEC).

1 In the following paragraphs, I will describe the essential  
2 characteristics of the 2017 and 2020 Mechanisms; however, each  
3 Mechanism includes and is subject to many additional and more  
4 detailed criteria than are set forth in this testimony.

5 **Q. PLEASE DESCRIBE THE DEVELOPMENT OF THE 2017 AND**  
6 **2020 MECHANISMS AND THEIR MAJOR COMPONENTS.**

7 A. In the 2015 Sub 931 Order, the Commission approved a revised  
8 mechanism agreed to by DEP, the Public Staff, and certain other  
9 intervenors,<sup>4</sup> and filed by DEP on October 29, 2014. However, as  
10 the result of discussions that took place during the Sub 1145  
11 proceeding, the Company and the Public Staff recommended certain  
12 changes to Paragraphs 18, 22, and 70 of the mechanism, and the  
13 addition of new Paragraphs 22A through 22D and 70A. These  
14 revisions were set forth in Maness Exhibit II, filed with my affidavit in  
15 Sub 1145, and were approved as set forth therein by the Commission  
16 in the Sub 1145 Order.

17 The overall purpose of the 2017 Mechanism was to: (1) allow DEP  
18 to recover all reasonable and prudent costs incurred for adopting and  
19 implementing new DSM and new EE measures; (2) establish the  
20 terms, conditions, and methodology for the recovery of certain utility

---

<sup>4</sup> The parties agreeing to the revised mechanism were DEP, the Natural Resources Defense Council, the Southern Alliance for Clean Energy, and the Public Staff.

1 incentives – Net Lost Revenues (NLR) and a Portfolio Performance  
2 Incentive (PPI) - to reward DEP for adopting and implementing DSM  
3 and EE measures and programs; (3) provide for an additional  
4 incentive to further encourage kilowatt-hour (kWh) savings  
5 achievements; and (4) establish certain requirements and guidelines  
6 to guide requests by DEP for approval, monitoring, and management  
7 of DSM and EE programs. The 2017 Mechanism included many  
8 provisions that indirectly influenced the ratemaking process for DSM  
9 and EE costs and incentives, including provisions that addressed  
10 program approval, management, and modification; evaluation,  
11 measurement, and verification (EM&V) of program results; operation  
12 of a Stakeholder Collaborative; procedural matters and the general  
13 structure of the DSM/EE billing rates; allocation methodologies;  
14 reporting requirements; and provisions for the term and future review  
15 of the Revised Mechanism itself, as well as provisions directly  
16 affecting the calculation of the DSM/EE and DSM/EE EMF riders. A  
17 summary of these provisions is set forth in Appendix A of this  
18 testimony.

19 The purpose of the 2020 Mechanism remains largely the same as  
20 the 2017 Mechanism. However, the 2020 Mechanism, as approved  
21 by the Commission, also includes the following new characteristics:

- 1           1. Addition of a Program Return Incentive (PRI) – The PRI is an  
2           incentive to encourage DEP to pursue savings from existing and  
3           new low-income DSM/EE programs, and to maintain and  
4           increase the cost effectiveness of these programs. For these  
5           types of programs, the PRI initially will be based on 10.6% of the  
6           net present value of the avoided costs savings achieved by those  
7           DSM and EE programs. The percentage ultimately used to  
8           determine the PRI for each Vintage Year will be based on the  
9           Company's ability to maintain or improve the cost effectiveness  
10          of the PRI-eligible programs over and above that initially  
11          estimated for the Vintage Year. At no time will the PRI percentage  
12          utilized fall below 2.65% or rise above 13.25%.
- 13          2. Reduction of PPI Percentage – Beginning with Vintage Year  
14          2022, the PPI percentage is reduced from 11.75% to 10.60%.
- 15          3. Cap and Floor on PPI - The amount of pre-tax PPI allowed will  
16          not exceed or fall below the amount that produces a specified  
17          margin over the aggregate pre-tax program costs for the PPI-  
18          eligible programs. The maximum margin is set at 19.50% for  
19          Vintage Year 2022 and afterward, until completion of the next  
20          Mechanism review. Additionally, a minimum margin over  
21          aggregate pre-tax program costs for PPI-eligible programs will be  
22          established at 10% for Vintage Year 2022, 6% for Vintage Year

- 1           2023, and 2.50% for Vintage Year 2024 and afterward, until  
2           completion of the next Mechanism review.
- 3           4. Clarification of the Criteria for Bundling Measures within  
4           Programs – Measures bundled within a DSM/EE program must  
5           be consistent with and related to the measure technologies or  
6           delivery channels of the program, unless otherwise ordered by  
7           the Commission.
- 8           5. Use of the Utility Cost Test (UCT) – The test used to calculate the  
9           prospective cost-effectiveness of new and ongoing programs is  
10          changed from the Total Resource Cost (TRC) Test to the UCT.
- 11          6. Review of Avoided Transmission and Distribution (T&D) Costs –  
12          The Public Staff and DEP will review avoided T&D costs no later  
13          than December 31, 2021, and make recommendations for any  
14          adjustment in the rider proceedings thereafter. Avoided T&D  
15          costs will be reviewed at least every three years and will be  
16          updated if they change by at least 20%.
- 17          7. Additional Incentive and Penalty - If the Company achieves  
18          annual energy savings of 1.0% of the prior year's system retail  
19          electricity sales in any year during the four-year period of 2022-  
20          2025, it will receive an additional incentive of \$500,000 for that  
21          year. During that same period, if the Company fails to achieve  
22          annual energy savings of 0.5% of retail sales, net of sales

- 1 associated with customers opting out of the Company's EE  
2 programs, it will reduce its EE revenue requirement by \$500,000.
- 3 8. Non-Energy Benefits - The definition of the TRC Test is revised  
4 to provide that non-energy benefits, as approved by the  
5 Commission, may be considered in the determination of TRC  
6 results.
- 7 9. Amortization of operations and maintenance (O&M) expenses –  
8 For vintage years prior to 2021, DEP amortized DSM/EE O&M  
9 expenses for recovery over various periods extending from one  
10 to ten years. Under the 2020 Mechanism, beginning with Vintage  
11 Year 2022, the amortization period for O&M expenses that have  
12 previously been greater than three years may be reduced to three  
13 years, although previous years' expenses will continue to use  
14 their previously allowed amortization periods.<sup>5</sup> In the next  
15 Mechanism review, the parties shall consider whether or not the  
16 minimum three-year amortization period should be further  
17 reduced.
- 18 10. PPI Recovery - Under the 2017 Mechanism and previous  
19 DSM/EE mechanisms, DEP has converted the PPI earned for  
20 each program in each vintage year into a stream of levelized

---

<sup>5</sup> O&M expenses incurred in Vintage Year 2021 will be amortized utilizing the same amortization periods as utilized for Vintage Year 2020 costs for the same Program, unless otherwise approved by the Commission.

1 annual payments with an equivalent present value, to be  
2 recovered over no more than ten years. Beginning with Vintage  
3 Year 2022, the PPI earned in any vintage year will be levelized  
4 over the same period as O&M expenses for that same vintage  
5 year are amortized, although levelized annual payments from  
6 prior vintages will continue to be recovered as previously set.

7 In addition to the above, the 2020 Sub 1032 Order requires,  
8 consistent with the recommendation of the parties to the 2020  
9 Stipulation, that “DEC and DEP shall work with the DSM/EE  
10 Collaborative to develop a scope for a one-time study on the market  
11 penetration of EE programs with low and moderate income  
12 customers to be performed by qualified independent third-party  
13 EM&V providers. . . . [U]pon Commission approval for recovery of  
14 study costs, they shall have the study completed prior to the cost  
15 recovery Mechanism modifications approved herein taking effect in  
16 2022.”<sup>6</sup>

17 The entire text of the 2020 Mechanism is attached to the 2020 Sub  
18 931 Order as Attachment B.<sup>7</sup>

---

<sup>6</sup> Additional details regarding the performance of the study are included in the body of the 2020 Sub 931 Order.

<sup>7</sup> The revisions to the Mechanism recommended by the Public Staff were also supported by DEC, DEP, the North Carolina Sustainable Energy Association, the Southern Alliance for Clean Energy, the South Carolina Coastal Conservation League, the Natural Resources Defense Council, the Sierra Club, and the North Carolina Attorney General's Office.

**THE COMPANY'S PROPOSED BILLING RATES**

**Q. PLEASE DESCRIBE THE BILLING FACTORS, VINTAGE YEARS, RATE PERIOD, AND TEST PERIOD BEING CONSIDERED IN THIS PROCEEDING.**

A. In its Application in this proceeding, DEP requested approval of prospective and EMF DSM and EE billing rates that would result in annual North Carolina retail revenue of approximately \$190.0 million [including a revenue adder for the North Carolina Regulatory Fee (regulatory fee)]. DEP's request would be an increase of approximately \$8.1 million from the annual revenues that would be produced by the rates currently in effect. These proposed billing factors are set forth on DEP witness Listebarger's Exhibit 1. The factors (rates), as applicable to each class, are proposed by the Company to be charged to all participating North Carolina retail customers [i.e., those who have not opted out pursuant to N.C.G.S. § 62-133.9(f)] served during the rate period.

The increase in the monthly bill of a Residential customer using 1,000 kilowatt-hours of energy resulting from this revenue requirement decrease would be \$0.67. The change in a Non-Residential customer's bill would depend on the particular Vintage Years of DSM and/or EE rates for which the customer is opted out or opted in.

1 The rate period for this proceeding is the twelve-month period from  
2 January 1, 2022, through December 31, 2022. This is the period  
3 over which the prospective DSM and EE billing rates and the DSM  
4 and EE EMF billing rates determined in this proceeding will be  
5 charged. It is also the period for which the estimated revenue  
6 requirements (program costs, NLR, and PPI) to be recovered  
7 through the prospective DSM/EE rates are determined.

8 The test period applicable to this proceeding is the twelve-month  
9 period ended December 31, 2020. This is the period for which the  
10 under- or overrecovery of DSM/EE revenue requirements as  
11 compared to actual DSM/EE rider revenues is measured for  
12 purposes of determining the DSM and EE EMF billing rates (although  
13 the Commission Rules do allow the true-up to be extended to cover  
14 additional months, subject to review and adjustment in next year's  
15 proceeding). Actual program costs considered for true-up in this  
16 proceeding are either costs actually incurred during the test period,  
17 or further true-ups and/or corrections related to previous test periods.  
18 For purposes of recovery, actual program costs may be amortized  
19 over periods ranging from one to ten years. A return is also  
20 calculated on program costs deferred during the test year and on  
21 over-recoveries of total revenue requirements after the date the rates  
22 change. NLR and PPI reflected in the EMF revenue requirements  
23 being set in this proceeding are associated with kWh and dollar

1 savings achieved during Vintage Year 2020 (which is also the test  
2 year), as well as true-ups associated with prior vintage years. The  
3 PPI revenue requirement may also be amortized on a levelized basis  
4 over several years.

5 **Q. WHAT ARE SOME OF THE CHARACTERISTICS OF DEP'S**  
6 **PROPOSED DSM/EE BILLING FACTORS IN THIS SPECIFIC**  
7 **PROCEEDING?**

8 A. The prospective DSM and EE billing rates incorporate several cost  
9 recovery elements as estimated for the rate period, including  
10 amortizations of operations and maintenance and administrative and  
11 general (A&G) costs, capital costs of the Demand Side Distribution  
12 Response program (DSDR), carrying costs (return on deferred  
13 costs), NLR, and levelized PPI incentives. The test period true-up  
14 DSM and EE EMF billing rates contain test period actual amounts of  
15 the same types of costs and incentives as do the prospective rates.  
16 The DSM and EE EMF billing rates also include adjustments to the  
17 2017, 2018, and 2019 NLR, and 2019 PPI, a reduction for the  
18 DSM/EE billing rate amounts billed during the test period, and  
19 interest on over-collections and under-collections.

20 NLR amounts included in the DSM and EE billing rates have also  
21 been affected by the Company's two most recently concluded  
22 general rate cases, Docket No. E-2, Subs 1142 and 1219. In the

1 case of Sub 1142, the revenue requirement filed by the Company  
2 took into account DEP's total net revenue losses through December  
3 31, 2016, and further residential losses through October 31, 2017.  
4 The effective date of the rates set in the case was March 16, 2018.  
5 Therefore, NLR being requested in this proceeding exclude, effective  
6 March 16, 2018, any net revenue losses due to DSM/EE measures  
7 installed or implemented on or prior to December 31, 2016, for all  
8 customers, and on or prior to October 31, 2017, for residential  
9 customers. These excluded losses include a portion of the test year  
10 2020 lost sales first experienced in Vintage Year 2017.

11 In the case of Sub 1219, the revenue requirement filed by the  
12 Company took into account DEP's total net revenue losses through  
13 May 31, 2020. The effective date of the rates set in the case was  
14 September 1, 2020. Therefore, NLR being requested in this  
15 proceeding exclude, effective September 1, 2020, any net revenue  
16 losses due to DSM/EE measures installed or implemented on or prior  
17 to May 31, 2020. These excluded losses include a portion of the test  
18 period 2020 lost sales first experienced in Vintage Years 2017  
19 through 2020, and also a portion of the estimated rate period 2022  
20 lost sales first experienced in Vintage Years 2019 and 2020.

21 **Q. WILL THERE BE FUTURE TRUE-UPS OF THE DSM/EE**  
22 **REVENUE REQUIREMENTS?**

1 A. The finalization of the true-ups of NLR and PPI sometimes tends to  
2 lag behind the true-ups of program costs and A&G expenses subject  
3 to amortization. This feature of the true-up process is due to the fact  
4 that while cost amounts are typically known and determinable very  
5 soon after they are incurred, it can take several months to complete  
6 the applicable EM&V process and to refine and adjust the cost  
7 savings results for a given vintage year so that the final actual  
8 incentives payable to the utility can be determined. Therefore, while  
9 the cost amounts to be trued up as part of the test period DSM/EE  
10 EMF revenue requirement in a given annual proceeding typically  
11 correspond very closely to the actual costs incurred during the test  
12 period, the test period revenue requirement often contains incentives  
13 related to more than one vintage year. Additionally, certain  
14 components of the revenue requirements related to prior years will  
15 remain subject to prospective update adjustments and retrospective  
16 true-ups in the future, as participation and EM&V analyses are  
17 finalized, reviewed, and perhaps refined.

18 **INVESTIGATION AND CONCLUSIONS**

19 **Q. PLEASE DESCRIBE YOUR INVESTIGATION OF DEP'S FILING.**

20 A. My investigation of DEP's filing in this proceeding focused on  
21 determining whether the proposed DSM/EE Rider (a) was calculated  
22 in accordance with the 2017 or 2020 Mechanism, as applicable, and

1 (b) otherwise adhered to sound ratemaking concepts and principles.  
2 The procedures I and other members of the Public Staff's Accounting  
3 Division acting under my supervision utilized included a review of the  
4 Company's filing, relevant prior Commission proceedings and  
5 orders, and workpapers and source documentation used by the  
6 Company to develop the proposed billing rates. Performing the  
7 investigation required the review of responses to written and verbal  
8 data requests, as well as discussions with Company personnel. As  
9 part of its investigation, the Accounting Division performed a review  
10 of the actual DSM/EE program costs incurred by DEP during the 12-  
11 month period ended December 31, 2020. To accomplish this, the  
12 Accounting Division selected and reviewed samples of source  
13 documentation for test year costs included by the Company for  
14 recovery through the DSM/EE Rider. Review of this sample, which  
15 is still underway as of the date of pre-filing of this testimony, is  
16 intended to test whether the actual costs included by the Company  
17 in the DSM and EE billing rates are either valid costs of approved  
18 DSM and EE programs or administrative costs supporting those  
19 programs.

20 My investigation, including the sampling of source documentation,  
21 concentrated primarily on costs and incentives related to the January  
22 through December 2020 test period, which will begin to be trued up  
23 through the DSM and EE EMF billing rates approved in this

1 proceeding. The Public Staff also performed a more general review  
2 of the prospective billing rates proposed to be charged for Vintage  
3 Year 2022, which are subject to true-up in future proceedings.

4 **Q. WHAT ARE YOUR FINDINGS AND CONCLUSIONS?**

5 A. With the exception of items specifically described later in this  
6 testimony, as well as subject to the outcome of the Public Staff's  
7 program cost review described above, I am of the opinion that the  
8 Company has calculated its proposed DSM, EE, DSM EMF, and EE  
9 EMF billing rates in a manner consistent with N.C.G.S. § 62-133.9,  
10 Commission Rule R8-69, the 2017 and 2020 Mechanisms (and the  
11 Commission Orders with which they are associated), and other  
12 relevant Commission Orders. However, this conclusion is subject to  
13 the caveat that the Public Staff is still in the process of reviewing  
14 certain data responses recently received from the Company,  
15 including documentation of costs selected for review in the Public  
16 Staff's sample; once this review is complete, the Public Staff will file  
17 with the Commission any findings not already set forth in testimony.

18 I would like to note the following regarding the Public Staff's  
19 investigation:

20 1. Review of Vintage Year 2020 Program Costs – The Public  
21 Staff's review of the selected sample items from the  
22 population of 2020 DSM/EE program costs has resulted in

1                   one matter of concern, to date. This matter is further  
2                   discussed below.

3   **Q. PLEASE EXPLAIN FURTHER THE CONCERNS YOU HAVE**  
4   **REGARDING THE PUBLIC STAFF'S REVIEW OF 2020 DSM/EE**  
5   **PROGRAM COSTS.**

6   A. As described in my testimony in DEC's 2021 DSM/EE Rider  
7       proceeding (Docket No. E-7, Sub 1249), and as is discussed in  
8       Public Staff witness Williamson's testimony in that proceeding and  
9       this proceeding, DEP operates a referral channel (entitled  
10      "FinditDuke" for marketing purposes). This referral channel enables  
11      DEP customers, as well as non-DEP customers located within or  
12      surrounding the Duke Energy service territory, to locate contractors  
13      who may be able to provide certain services. The contractors pay a  
14      fee to DEP for performing referrals, and this fee is used to offset  
15      program costs of the Company's Residential SmartSaver EE  
16      program. The referable services include those that are associated  
17      with measures under the Residential SmartSaver Program, but have  
18      been expanded since the referral channel began to include other  
19      Residential and non-Residential services, including electrical,  
20      residential solar, and tree services that are unrelated to DSM/EE.  
21      While some of these services could result in higher efficiency  
22      measures being installed, the remaining do not appear to be related  
23      to DEP's currently approved DSM/EE programs. Furthermore, it

1 appears possible that some of the services that could be referred  
2 through FinditDuke are services that are not regulated by the  
3 Commission. Thus, DEP may be operating a referral service that  
4 includes referrals for non-regulated services to be performed by third  
5 parties.

6 Mr. Williamson testifies in this proceeding that it appears that some  
7 of the revenues received through the FinditDuke program should be  
8 recorded to accounts not related to the Company's DSM/EE  
9 programs, in that the related services are not part of the Company's  
10 DSM/EE efforts, and that they may be related to services provided  
11 to non-customers of DEC. He recommends that the Company work  
12 to refine its accounting so that the only revenues that are credited as  
13 offsets against DSM/EE program cost accounts are those that are  
14 attributable to referrals that are actually related to DSM/EE measures  
15 that are installed as a result of the referral.

16 I believe that the principles elucidated by Mr. Williamson with regard  
17 to the revenues associated with FinditDuke are equally appropriate  
18 with regard to the costs of administering and operating the referral  
19 effort. Therefore, I recommend that the Company refine its referral  
20 channel accounting to also properly assign, apportion, or allocate  
21 costs to DSM/EE, and non-DSM/EE efforts, working in conjunction  
22 with third party vendor-managers where appropriate. While such  
23 assignment may require estimates and approximations of the

1 appropriate assignments and allocations, the effort is highly likely to  
2 produce a better result than the current approach of simply assigning  
3 100% of all the revenues and costs to the Residential SmartSaver  
4 Program. Otherwise, the current practice could result in distorted  
5 cost-effectiveness results for the program as well as over- or  
6 underpayments of PPI and PRI utility incentives to the Company.

7 Since the filing of the Company's application in this proceeding, the  
8 Public Staff and DEP have reached an agreement regarding the  
9 FindItDuke Program. The Public Staff and DEP have agreed to work  
10 to resolve the Public Staff's concerns with the FindItDuke program in  
11 the coming months and report on these efforts in their testimony filed  
12 in the 2022 DSM/EE Rider proceeding. Thus, for the purposes of  
13 this proceeding, the Public Staff and DEP have agreed that DEP  
14 should not be required to make any changes to its accounting related  
15 to FindItDuke costs or revenues at this time. This is subject to the  
16 caveat that the Public Staff is still in the process of reviewing data  
17 responses received from the Company regarding FindItDuke costs,  
18 and that once this review is complete, the Public Staff will file with  
19 the Commission any findings related to the program not already set  
20 forth in testimony.

21 From an accounting perspective, this review should take into account  
22 the sizable up-front investments in advertising and promotion spend,

1           noted both in our program cost review for this proceeding as well as  
2           during the course of our review in Docket No. E-7, Sub 1249. In  
3           addition, we need to examine the allocation of marketing costs  
4           across utility jurisdictions.

5   **Q.   WHAT OTHER IMPACTS DOES THE TESTIMONY OF PUBLIC**  
6       **STAFF   WITNESS   WILLIAMSON   HAVE   ON   YOUR**  
7       **CONCLUSIONS REGARDING THE DSM/EE RIDERS IN THIS**  
8       **PROCEEDING?**

9   A.   Mr. Williamson has also filed testimony in this proceeding discussing  
10       several other topics related to the Company's filing. None of the  
11       matters discussed by Mr. Williamson necessitate an adjustment in  
12       this particular proceeding to the Company's billing factor  
13       calculations, although some of them may affect the determination of  
14       the factors in future proceedings.

15   **Q.   PLEASE SUMMARIZE YOUR CONCLUSIONS REGARDING THE**  
16       **COMPANY'S PROPOSED BILLING FACTORS.**

17   A.   In summary, although we have general concerns regarding  
18       FinditDuke accounting that we believe should be followed up, the  
19       Public Staff has found no errors or other issues necessitating an  
20       adjustment to the Company's proposed billing factors, subject to  
21       completion of our program cost sample review.

**RECOMMENDATION**

1

2   **Q.   WHAT IS YOUR RECOMMENDATION IN THIS PROCEEDING?**

3   A.   Based on the results of the Public Staff's investigation  
4       (subject to completion of its review of 2020 program costs),  
5       I recommend that the billing factors proposed by the Company, as  
6       set forth in Listebarger Exhibit 1, be approved by the Commission.  
7       These factors should be approved subject to any true-ups in future  
8       cost recovery proceedings consistent with the 2017 and 2020  
9       Mechanisms and the Commission Orders with which they are  
10      associated, as well as other relevant orders of the Commission,  
11      including the Commission's final order in this proceeding. Most  
12      specifically, I recommend that the application of the 2020 Mechanism  
13      to the estimated costs and utility incentives associated with Vintage  
14      Year 2022 not be considered final until those costs and utility  
15      incentives are trued up in future rider proceedings.

16      In making this recommendation, the Public Staff notes that reviewing  
17      the calculation of the DSM/EE rider is a process that involves  
18      reviewing numerous assumptions, inputs, and calculations, and its  
19      recommendation with regard to this proposed rider is not intended to  
20      indicate that the Public Staff will not raise questions in future  
21      proceedings regarding the same or similar assumptions, inputs, and  
22      calculations.

- 1 Q. DOES THIS CONCLUDE YOUR TESTIMONY?
- 2 A. Yes, it does.

1 COMMISSIONER BROWN-BLAND: Anything further  
2 from the Public Staff?

3 MS. LUHR: No. Thank you.

4 COMMISSIONER BROWN-BLAND: Then we are now  
5 back to rebuttal.

6 MS. FENTRESS: Thank you, Madam Chair. I  
7 would recall Mr. Evans and also call Ms. Shafer to the  
8 stand.

9 COMMISSIONER BROWN-BLAND: Ms. Fentress, I  
10 think you and Mr. Evans need to --

11 MS. FENTRESS: Oh, yes. So sorry.

12 COMMISSIONER BROWN-BLAND: -- move around.  
13 I see Ms. Shafer. Mr. Evans, you've already affirmed,  
14 made affirmations.

15 ROBERT P. EVANS;  
16 having been previously affirmed,  
17 and

18 LYNDIA SLEIGH SHAFER,  
19 having been duly affirmed,  
20 testified as follows:

21 COMMISSIONER BROWN-BLAND: Ms. Fentress,  
22 they're your witnesses.

23 MS. FENTRESS: Thank you.

24 DIRECT-EXAMINATION BY MS. FENTRESS:

NORTH CAROLINA UTILITIES COMMISSION

1 Q Mr. Evans, since you've already been introduced,  
2 I will start with you and then move to  
3 Ms. Shafer. Mr. Evans, did you cause to be  
4 prefiled in this case, on the September 16th,  
5 2021, rebuttal testimony of 10 pages and one  
6 exhibit?

7 A Yes, I did.

8 Q Do you have any changes to your prefiled rebuttal  
9 testimony?

10 A. No, I do not.

11 Q And if I were to ask you the same questions as  
12 written in your rebuttal testimony today from the  
13 stand, would your answers be the same?

14 A Yes, they would be.

15 MS. FENTRESS: Thank you. I'll move to  
16 Ms. Shafer.

17 Q Ms. Shafer, could you please state your full name  
18 and business address, for the record?

19 A My name is Lynda Sleigher Shafer. I work at 400  
20 South Tryon Street, Charlotte, North Carolina  
21 28202.

22 Q And Ms. Shafer, what is your position at Duke  
23 Energy?

24 A I'm a Senior Strategy and Collaboration Manager

1           for the Carolinas in the Portfolio Strategy and  
2           Support Group.

3       Q     And Ms. Shafer, did you cause to be prefiled in  
4           this docket on September 16th, 2021 rebuttal  
5           testimony of 12 pages?

6       A     Yes, I did.

7       Q     Do you have any changes to your prefiled rebuttal  
8           testimony?

9       A     No, I do not.

10      Q     And if I were to ask you the same question as  
11           written in your rebuttal testimony today from the  
12           stand, would answers be the same?

13      A     Yes.

14                 MS. FENTRESS:  Madam Chair, I would ask that  
15           Mr. Evans and Ms. Shafer's prefiled rebuttal testimony  
16           and exhibit be entered into the record as if given  
17           orally from the stand.

18                 COMMISSIONER BROWN-BLAND:  Ms. Fentress,  
19           that motion will be allowed, and the testimony of --  
20           the rebuttal testimony of witnesses Evans and Shafer  
21           will be received into evidence as if given orally from  
22           the stand, and the exhibit of -- the rebuttal exhibit  
23           of witness Evans will be identified as it was marked  
24           when prefiled.

1 MS. FENTRESS: Thank you.

2 (WHEREUPON, Evans Rebuttal

3 Exhibit 1 is marked for

4 identification as prefiled.)

5 (WHEREUPON, the prefiled rebuttal

6 testimony of ROBERT P. EVANS and

7 the prefiled rebuttal testimony

8 of LYNDIA SLEIGH SHAFER is

9 copied into the record as if

10 given orally from the stand.)

11

12

13

14

15

16

17

18

19

20

21

22

23

24

NORTH CAROLINA UTILITIES COMMISSION

STATE OF NORTH CAROLINA  
 UTILITIES COMMISSION  
 RALEIGH

DOCKET NO. E-2, SUB 1273

BEFORE THE NORTH CAROLINA UTILITIES COMMISSION

In the Matter of	)	
Application of Duke Energy Progress, LLC	)	<b>REBUTTAL TESTIMONY OF</b>
for Approval of Demand-Side Management	)	<b>ROBERT P. EVANS FOR</b>
and Energy Efficiency Cost Recovery Rider	)	<b>DUKE ENERGY PROGRESS,</b>
Pursuant to N.C. Gen. Stat. § 62-133.9 and	)	<b>LLC</b>
Commission Rule R8-69	)	

---

OFFICIAL COPY

Exp 06 2021

1   **Q.   PLEASE STATE YOUR NAME, BUSINESS ADDRESS, AND**  
2       **POSITION WITH DUKE ENERGY.**

3   A.   My name is Robert P. Evans, and my business address is 410 S. Wilmington  
4       Street, Raleigh, North Carolina. I am employed by Duke Energy Corporation  
5       as Senior Manager-Strategy and Collaboration for the Carolinas in the  
6       Integrated Grid Strategy and Solutions group.

7   **Q.   DID YOU PREVIOUSLY FILE DIRECT TESTIMONY IN SUPPORT**  
8       **OF DUKE ENERGY PROGRESS, LLC'S ("COMPANY")**  
9       **APPLICATION IN THIS DOCKET?**

10  A.   Yes.

11  **Q.   WHAT IS THE PURPOSE OF YOUR REBUTTAL TESTIMONY?**

12  A.   The purpose of my rebuttal testimony is to respond to portions of the testimony  
13       of Forest Bradley-Wright, filed on behalf of the North Carolina Justice Center  
14       ("NCJC"), the North Carolina Housing Coalition, and the Southern Alliance for  
15       Clean Energy ("SACE") and to portions of the testimony of Michael C. Maness,  
16       filed on behalf of the Public Staff of the North Carolina Utilities Commission  
17       ("Public Staff").

18  **Q.   WILL YOU DESCRIBE THE PORTIONS OF WITNESS BRADLEY-**  
19       **WRIGHT'S TESTIMONY TO WHICH YOU ARE RESPONDING?**

20  A.   Yes. There are several portions of witness Bradley-Wright's testimony that  
21       cause concerns; specifically, those portions related to the one percent ("1%")  
22       savings target, the Company's low-income energy efficiency program budgets,  
23       the request for the quantification of carbon savings resulting from demand-side

1 management and energy efficiency programs, and his remarks regarding the  
2 Market Potential Study.

3 **Q. PLEASE DESCRIBE YOUR CONCERNS RELATED TO THE**  
4 **PORTIONS OF WITNESS BRADLEY-WRIGHT'S TESTIMONY**  
5 **DISCUSSING THE ASPIRATIONAL GOAL OF SAVING 1% OF THE**  
6 **PRIOR YEAR'S RETAIL SALES FROM ENERGY EFFICIENCY AND**  
7 **DEMAND-SIDE MANAGEMENT PROGRAMS.**

8 A. The 1% target that witness Bradley-Wright refers to as the key feature of the  
9 Settlement Agreement among DEP, Duke Energy Carolinas, LLC ("DEC"), the  
10 Natural Resources Defense Council, SACE, the North Carolina Sustainable  
11 Energy Association, the North Carolina Attorney General's Office and the  
12 Public Staff is not an express requirement of the Settlement Agreement.<sup>1</sup> It is,  
13 instead, an aspirational goal. That being said, the source of the aspirational 1%  
14 goal was a 2011 Settlement Agreement between and among the Environmental  
15 Defense Fund, the South Carolina Coastal Conservation League and SACE,  
16 filed in the South Carolina Public Service Commission proceedings on the  
17 merger of Duke Energy Corporation and Progress Energy, Inc., as witness  
18 Bradley-Wright testified to in Docket No. E-2, Sub 1206.<sup>2</sup> That Settlement  
19 Agreement covered a multi-year period that ended in 2018.

---

<sup>1</sup> Witness Bradley-Wright's testimony includes the South Carolina Coastal Conservation League and Sierra Club as parties to the Settlement Agreement, but under the Commission's October 20, 2020 *Order Approving Revisions to Demand-Side Management and Energy Efficiency Cost-Recovery Mechanism*, issued in Docket Nos. E-2, Sub 931 and E-7, Sub 1032, SCCCL and Sierra Club were parties only to the Duke Energy Carolinas, LLC Settlement Agreement in Docket No. E-7, Sub 1032.

<sup>2</sup> See Docket No. E-2, Sub 1206, Tr. p. 186 (Witness Bradley-Wright responding to questions from counsel after the Commission's questions). The merger-related Settlement Agreement referred to was filed in Docket Nos. 2011-68-E and 2011-158-E on December 13, 2011.

1           The Company takes achieving this 1% savings aspiration goal very  
2 seriously and continues to work with stakeholders and within N.C. Gen. Stat. §  
3 62-133.9, the Commission Rules, and the Mechanism toward developing cost-  
4 effective and marketable energy efficiency (“EE”) and demand-side  
5 management (“DSM”) programs that will result in energy savings for their  
6 customers. Under the Mechanism approved by the Commission, the Company  
7 is rewarded for achieving that goal. Achieving that aspirational goal for DEP,  
8 however, has been hindered by the number of opt out customers in the DEP  
9 North Carolina service territory, as compared to DEC’s service territory.  
10 Additionally, a lack of clarity on how eligible non-residential customers  
11 electing to opt out of participating in the Company’s EE/DSM portfolio of  
12 programs, as allowed under N. C. Gen. Stat. § 62-133.9(f), impacts the  
13 calculation of the energy savings that DEP has achieved.

14 **Q. PLEASE EXPLAIN HOW THE STATUTORY OPT OUT PROVISION**  
15 **IN NORTH CAROLINA GEN. STAT. § 62-133.9(f) IMPACTS WITNESS**  
16 **BRADLEY-WRIGHT’S ASSERTION THAT THE COMPANY HAS**  
17 **NOT MET THIS ASPIRATIONAL GOAL.**

18 A. Witness Bradley-Wright does not appear to make an “apples to apples”  
19 comparison. The percentage of savings as calculated by Bradley-Wright  
20 reflects the energy savings achieved through the Company’s energy efficiency  
21 and demand-side management (“EE/DSM”) programs compared to the total  
22 retail sales of the Company, including the sales to customers that have opted  
23 out of, and therefore are not eligible to save energy through the Company’s

1 EE/DSM programs. In other words, there is a disconnect between the  
2 numerator and denominator used in witness Bradley-Wright's calculation of the  
3 percentage used to determine the Company's attainment.

4 **Q. WHY SHOULD OPT-OUT ASSOCIATED SALES BE REMOVED**  
5 **FROM TOTAL SALES TO CALCULATE THE PERCENTAGE**  
6 **SAVINGS?**

7 A. To reflect a true apples to apples comparison, the opt-out associated sales  
8 should also be removed in the calculation of the savings goal. DEP has a  
9 significant portion of its non-residential sales to industrial and commercial  
10 customers that have opted out of the Company's EE/DSM portfolio. These  
11 customers do not impact the level of recognized savings even though those  
12 customers utilize their own energy efficiency programs. The proper formula to  
13 use in determining savings that are actually subject to Company control is  
14 *(Savings from Company Programs)/((Total Sales) – (Opt-Out Sales))*. More  
15 simply put, calculating the energy savings percentage while including an energy  
16 sales number increased by sales to opt-out customers, does not accurately  
17 reflect the success of the EE programs reducing energy usage from the customer  
18 sales that can be impacted by the programs.

19 **Q. WHAT CONCERNS DO YOU HAVE WITH WITNESS BRADLEY-**  
20 **WRIGHT'S TESTIMONY RELATING TO THE COMPANY'S**  
21 **ENERGY EFFICIENCY PROGRAMS FOR LOW-INCOME**  
22 **CUSTOMERS?**

23 A. I have two concerns. The first is his recommendation that the Commission  
24 direct DEP to increase its low-income energy efficiency program budgets to at

1 least match those of DEC on a per-residential customer basis. The second is  
2 his omission of pertinent information regarding the Durham Pilot Program.

3 **Q. WHAT CONCERNS DO YOU HAVE WITH WITNESS BRADLEY-**  
4 **WRIGHTS TESTIMONY RELATING TO ADJUSTING THE**  
5 **COMPANY'S BUDGET FOR LOW-INCOME PROGRAMS?**

6 A. Witness Bradley-Wright's budgetary recommendations appear to continue to  
7 be based on the misconception that increasing a projected budget for an energy  
8 efficiency program will automatically increase the participation in a EE/DSM  
9 program and thereby result in increased energy savings. The Company has tried  
10 to address this misconception multiple times and has explained that a program  
11 budget is not a *ceiling* on spending, but rather an attempt to accurately reflect  
12 the costs associated with projected participation in a program for the purposes  
13 of cost recovery from customers. Higher projected budgets result in higher  
14 projected costs to be recovered from customers through the EE/DSM rider. The  
15 past performance of the Company's EE/DSM portfolio has demonstrated many  
16 times that if additional program spending above a projected budget is necessary  
17 to meet customer participation, the Company's spending will exceed the  
18 budget. After Commission review and approval, the Company may then  
19 recover the overspend when the vintage year of that program is trued up. Low-  
20 income programs are no different. Rather than simply projecting an arbitrary  
21 and unsubstantiated increase to the budget, the Company is actively working  
22 with SACE and other stakeholders to develop pilot programs targeting low-  
23 income customers that will justify additional spending associated with  
24 projected participation.

1     **Q.     PLEASE DESCRIBE THE DURHAM PILOT PROGRAM.**

2     A.     The Durham Pilot Program was a limited weatherization assistance program for  
3           low-income customers. Notably the Durham Pilot Program's scope was only  
4           206 homes. Participants also received supplemental Helping Home Funds to  
5           address health, safety, and incidental repair needs prior to efficiency  
6           improvements. The Company is proud of the Helping Home Fund's work and  
7           Duke Energy Carolinas, LLC's work on the Durham Pilot, but neither is an  
8           approved EE program under Commission Rule R8-68.

9     **Q.     WHAT PERTINENT INFORMATION DOES WITNESS BRADLEY-**  
10           **WRIGHT'S TESTIMONY OMIT WHEN DESCRIBING THE DURHAM**  
11           **PILOT?**

12    A.     Starting on line 20 of page 29 of his testimony, witness Bradley-Wright quotes  
13           from the Opinion Dynamics Evaluation, Measurement, and Verification report  
14           associated with the Durham Pilot (attached for the Commission's convenience  
15           hereto as Exhibit 1). He states the following:

16                     [A] program design similar to the Durham Pilot could be a good  
17                     option for bringing weatherization services to customers in South  
18                     Carolina and/or the DEP service territory.

19           To put this in context, on page 43 of the same report, Opinion Dynamics also  
20           indicated that "Finally, the funding approach of covering the full project cost  
21           without contributions by agencies might make this program design *difficult to*  
22           *implement on a larger scale.*" (Emphasis added.) Opinion Dynamic's report  
23           further states on page 47 that "[s]ince this evaluation did not include a formal  
24           impact assessment, however, more rigorous impact analysis would be required

1 to quantify the savings of the Durham Pilot. ”

2 **Q. DO YOU AGREE WITH WITNESS BRADLEY WRIGHT’S POSITION**  
3 **REGARDING THE QUANTIFICATION OF CARBON SAVINGS?**

4 A. No, I do not agree.

5 **Q. WHAT ARE YOUR CONCERNS WITH RESPECT TO THE**  
6 **QUANTIFICATION OF CARBON SAVINGS IN DEP’S EE/DSM**  
7 **PROCEEDINGS?**

8 A. Because there are no recognized financial impacts within the EE/DSM  
9 mechanism associated explicitly with carbon savings, such a quantification is  
10 outside the scope of DEP’s filing for approval of its EE/DSM rider under  
11 Commission Rule R8-69 at this time. As such, the tracking and reporting on  
12 carbon savings in the Company’s EE/DSM cost recovery filings is unnecessary  
13 in this proceeding and would likely result in added costs to customers to be  
14 recovered through the EE/DSM rider.

15 **Q. WHAT ARE YOUR CONCERNS WITH RESPECT TO WITNESS**  
16 **BRADLEY-WRIGHT’S REMARKS CONCERNING THE MARKET**  
17 **POTENTIAL STUDY (“MPS”)?**

18 A. Witness Bradley-Wright indicated that the Company’s reliance on the Total  
19 Resource Cost (“TRC”) instead of the Utility Cost Test (“UCT”) for its MPS  
20 substantially undercounted the economic savings potential. There are several  
21 flaws with witness Bradley-Wright’s contention. First, the MPS was completed  
22 prior to the UCT replacing the TRC test as the screen for cost-effective EE/DSM  
23 programs. The UCT goes into effect as the screen in 2022. Second, although  
24 the MPS is used to inform program offerings, it is not a direct input into the

1 energy savings in the Company's 2022 projection in this proceeding. Witness  
2 Bradley-Wright's concerns regarding the MPS and the impact of utilizing the  
3 TRC versus UCT for planning purposes is more appropriate in the Company's  
4 integrated resource planning proceedings, rather than in this annual rider  
5 proceeding under Commission Rule R8-69. Third, the Company addressed this  
6 concern in its Collaborative. As part of the specific Collaborative discussion  
7 addressing concerns around the MPS, the Company explained that Nexant, who  
8 developed the MPS, applied the TRC test to the Economic Potential Screen, but  
9 also included a sensitivity to calculate an Economic Potential using the UCT  
10 screen, which resulted in an increase to the Economic Potential. While applying  
11 UCT does increase economic potential, it was not appropriate to utilize in the  
12 determination of the achievable potential, which recognizes market barriers to  
13 participation. This decision was grounded in a firm understanding of the cost  
14 effectiveness screens and the nature of each of these tests. The UCT considers  
15 the economics from the utility's perspective, not from that of the customer. The  
16 TRC test recognizes the customer's out-of-pocket cost and, as such, the  
17 customer's economics associated with the adoption of energy efficiency  
18 measures. Therefore, the TRC test is a better vehicle from which to assess the  
19 achievable potential of energy efficiency measures in MPS.

20 **Q. HOW DO YOU RESPOND TO PUBLIC STAFF WITNESS MANESS'S**  
21 **RECOMMENDATION ON REFINING THE ACCOUNTING RELATED**  
22 **TO COSTS FOR THE FIND IT DUKE REFERRAL CHANNEL?**

23 A. Consistent with the Commission's September 10, 2021 *Order Approving*  
24 *DSM/EE Rider and Requiring Filing of Proposed Customer Notice*, issued in

1 Docket No. E-7, Sub 1249, which applied to Duke Energy Carolinas, LLC,  
2 Duke Energy Progress is also working to identify and quantify the applicable  
3 non-energy efficiency related referral costs and revenues in the Find it Duke  
4 referral channel, so that they may be removed from the Company's requested  
5 cost recovery in this proceeding. The Company will also review and, if  
6 appropriate, discuss the impact of the Commission's decision on the Find It  
7 Duke referral channel with the Public Staff prior to Duke Energy Carolinas,  
8 LLC's or the Company's next DSM/EE annual rider proceeding filing.

9 **Q. DOES THIS CONCLUDE YOUR REBUTTAL TESTIMONY?**

10 **A. Yes.**

STATE OF NORTH CAROLINA  
 UTILITIES COMMISSION  
 RALEIGH

DOCKET NO. E-2, SUB 1273

BEFORE THE NORTH CAROLINA UTILITIES COMMISSION

In the Matter of	)	
Application of Duke Energy Progress, LLC	)	<b>REBUTTAL TESTIMONY OF</b>
for Approval of Demand-Side Management	)	<b>LYNDA SLEIGHER SHAFER</b>
and Energy Efficiency Cost Recovery Rider	)	<b>FOR DUKE ENERGY</b>
Pursuant to N.C. Gen. Stat. § 62-133.9 and	)	<b>PROGRESS, LLC</b>
Commission Rule R8-69	)	

---

OFFICIAL COPY

Exp 06 2021

1   **Q.   PLEASE STATE YOUR NAME, BUSINESS ADDRESS, AND**  
2       **POSITION WITH DUKE ENERGY.**

3   A.   My name is Lynda Sleigher Shafer, and my business address is 400 S. Tryon  
4       Street, Charlotte, North Carolina. I am employed by Duke Energy Corporation  
5       as Senior Strategy and Collaboration Manager for the Carolinas in the Portfolio  
6       Strategy and Support group.

7   **Q.   PLEASE DESCRIBE YOUR EDUCATIONAL BACKGROUND AND**  
8       **PROFESSIONAL EXPERIENCE.**

9   A.   I have a Bachelor of Science degree from Bob Jones University and two  
10      Master's degrees from the University of South Carolina, a Master of Business  
11      Administration and of English. I began working with the Office of Regulatory  
12      Staff ("ORS") in South Carolina in 2009 as a Program Specialist in  
13      telecommunications and later as a Regulatory Analyst in the Electricity, Gas  
14      and Economics Department. While at ORS, I completed the National  
15      Association of Regulatory Utility Commissioners ("NARUC") Regulatory  
16      Studies program at Michigan State University and Eastern NARUC Utility Rate  
17      School. In 2016, I became a Financial Analyst for Santee Cooper where I was  
18      responsible for evaluating existing and proposed programs for cost  
19      effectiveness, coordinating collaboration among subject matter experts  
20      regarding renewables and demand-side management programs, and preparing  
21      the annual budget for energy efficiency operations. While at Santee Cooper, I  
22      completed the North Carolina State University McKimmon Center for  
23      Continuing Education Meter School.

1 In 2018, I began working in my current role at Duke Energy. I am the  
2 regulatory lead in South Carolina for Energy Efficiency and Demand-Side  
3 Management (“EE/DSM”) programs and the facilitator of the EE/DSM  
4 Collaborative stakeholder group (hereinafter “Collaborative” or  
5 “stakeholders”) for both Duke Energy Progress, LLC (“DEP” or the  
6 “Company”) and Duke Energy Carolinas, LLC (“DEC”, collectively, the  
7 “Companies” in North and South Carolina or “Duke Energy”). I also represent  
8 the Company as a member of the Board of Directors for the Southeast Energy  
9 Efficiency Alliance.

10 **Q. PLEASE DESCRIBE YOUR ROLE AS THE FACILITATOR OF THE**  
11 **STAKEHOLDER GROUP.**

12 A. I am the primary contact for stakeholders in North and South Carolina who have  
13 questions, concerns, or insights related to the Companies’ EE/DSM programs.  
14 My responsibilities in that role include responding to stakeholders’ questions  
15 or requests for information and connecting them with the appropriate subject  
16 matter experts at Duke Energy. Additionally, I organize the bimonthly  
17 Collaborative meetings and most of the working group calls between meetings.  
18 I also ensure the preparation and distribution of meeting materials and minutes.

19 **Q. HAVE YOU PREVIOUSLY TESTIFIED BEFORE THIS COMMISSION**  
20 **OR OTHER REGULATORY BODIES?**

21 A. I have not appeared before this Commission prior to this docket. I have testified  
22 before the Public Service Commission of South Carolina (“PSCSC”) in an ex  
23 parte hearing concerning EE/DSM program modifications in 2019. In my role  
24 as a regulator at ORS, I testified before the PSCSC in two general rate cases,

1 three annual fuel adjustment cases and one distributed energy resource program  
2 application.

3 **Q. WHAT IS THE PURPOSE OF YOUR REBUTTAL TESTIMONY?**

4 A. The purpose of my rebuttal testimony is to respond to portions of the testimony  
5 of Forest Bradley-Wright filed on behalf of the North Carolina Justice Center  
6 (“NCJC”), the North Carolina Housing Coalition, and the Southern Alliance for  
7 Clean Energy (“SACE”).

8 **Q. WILL YOU DESCRIBE THE PORTIONS OF WITNESS FOREST**  
9 **BRADLEY-WRIGHT’S TESTIMONY TO WHICH YOU ARE**  
10 **RESPONDING?**

11 A. I am addressing the portions of Witness Bradley-Wright’s testimony that  
12 pertain to the Collaborative, particularly his assertion that the Company has not  
13 acted on program suggestions appropriately or communicated program savings  
14 projections in a way that would allow meaningful participation by members of  
15 the Collaborative.

16 **Q. WHAT IS THE ROLE OF THE CAROLINAS COLLABORATIVE?**

17 A. The Collaborative is a long-standing advisory group of interested stakeholders  
18 from across North and South Carolina. It comprises members from several  
19 advocacy groups, as well as regulators, academics, and members of trade  
20 organizations. For North Carolina purposes, the Public Staff of the North  
21 Carolina Utilities Commission (“Public Staff”) participates. The Collaborative  
22 serves as a key source for input into the Company’s EE/DSM portfolio and  
23 allows this diverse group of stakeholders to share potential new programs and  
24 programmatic enhancements offered by other utilities in different regions of the

1 country. The Collaborative helps the Companies avoid blind spots in  
2 programming and marketing. In its mission statement, which was written as  
3 part of a cooperative effort in 2019, the Collaborative defined its role as “a  
4 forum for providing insight and input concerning topics related to energy  
5 efficiency and demand-side management including program design and  
6 development; measurement and evaluation; regulatory and market conditions;  
7 specific issues or topics as requested by the NC Utilities Commission and the  
8 Public Service Commission of SC; and emerging opportunities to achieve cost-  
9 effective energy savings.”

10 **Q. HOW DOES DEP SUPPORT THE COLLABORATIVE SO THAT IT**  
11 **CAN FULFILL ITS ROLE?**

12 A. The Company has established a process in which members determine the  
13 agenda, request subject matter experts to present on a wide range of topics, and  
14 receive meeting materials in advance to ensure adequate time for review. The  
15 Company also hosts working groups or initiates separate conference calls to  
16 discuss items that cannot be fully explored during bimonthly meetings. Twice  
17 a year, I present each of the residential and nonresidential programs one-by-one  
18 and lead a discussion with Collaborative members and the Companies’ program  
19 managers. The analytics team presents evaluation, measurement, and  
20 verification studies (“EM&V”) twice a year as well. The Companies’ subject  
21 matter experts also carve out opportunities to solicit Collaborative feedback at  
22 various stages of program design, implementation, and review.

23 **Q. DO YOU AGREE WITH WITNESS BRADLEY-WRIGHT THAT DEP**  
24 **HAS TAKEN LITTLE VISIBLE ACTION TOWARDS IMPEMENTING**

1           **STAKEHOLDER    MEMBER    RECOMMENDATIONS    UNTIL**  
2           **RECENTLY?**

3       A.    No, I do not. The Company is eager to find new ways to encourage customers'  
4           energy efficiency, but the process of developing new ideas into cost-effective,  
5           scalable, commercially viable programs is complex. Witness Bradley-Wright  
6           listed seven specific ideas that the Collaborative submitted since 2019. In the  
7           paragraphs below, I describe the Company's meaningful actions toward  
8           implementing each of these program ideas.

9           Low-Income Housing Tax Credit ("LIHTC")

10          Members originally brought this idea to the Company in March 2019 as a  
11          suggestion for a stand-alone program to reach multifamily housing  
12          developments that were applying for tax credits. Upon further investigation,  
13          the Company found and shared with the Collaborative that all the measures that  
14          would be part of this idea for a stand-alone program, along with substantial  
15          design assistance, were already offered to customers through the Smart Saver  
16          Custom New Construction Energy Efficiency Design Assistance program  
17          ("NCEEDA"). Although LIHTC was ultimately not appropriate for a stand-  
18          alone new program, DEP recognized and acted upon an opportunity to tap into  
19          savings potential. The Company and several Collaborative members scheduled  
20          a joint statewide workshop with developers, architects, and contractors to  
21          generate interest. Although the time between planning and completion is often  
22          long, developers are seeing the benefits of pairing rebates with tax credits, and  
23          the Company is continuing to pursue these projects.

24          Energy Star Retail Products Platform ("ESRPP")

1 The Company investigated the ESRPP when the Collaborative submitted the  
2 idea for consideration in January 2020 and found that it replicated many of the  
3 features that were part of a DEP program that was already in effect. The  
4 Company determined at that time that the best course of action was to allow the  
5 existing program to mature and not to pursue an external alternative  
6 simultaneously. Recently, at the request of the Collaborative, the Company  
7 revisited the idea of utilizing the ESRPP and found that the platform offered no  
8 additional cost savings or measure expansion, but could serve as a reference  
9 point in the future when the Company searches for new measures. DEP  
10 communicated that finding to the Collaborative in July 2021.

11 Program Savings from Codes and Standards

12 Members of the Collaborative suggested that the Companies could claim  
13 savings from advancing building energy codes and appliance standards in the  
14 Carolinas and suggested creating a program to capture those savings. However,  
15 the Companies responded, both in January 2020, when the idea was originally  
16 submitted, and in July 2021, when it was revisited, that North and South  
17 Carolina do not have a statutory or regulatory framework that defines the  
18 actions a utility must take to claim attributed savings or to determine the  
19 appropriate attribution methodology. If and when the regulatory or statutory  
20 frameworks change, DEP will revisit the possibility of such a program.

21 Residential Low-Income Single-Family Heat Pump Water Heater Rental  
22 Program

23 In recognition of the energy savings potential of heat pump water heaters  
24 (“HPWH”), members recommended in June 2020 that DEP offer a program

1       whereby low-income customers rent a HPWH for their homes directly from  
2       DEP and add the payment to their electric bills. Members also presented  
3       research explaining that a HPWH needs a minimum of 750 cubic feet of  
4       unobstructed space for proper ventilation or exhaust vents. It also needs to be  
5       located near a drain like the one used for washing machines or needs to be  
6       connected to a condensate pump. The Company immediately began  
7       investigating the feasibility of installations. Unfortunately, this program  
8       suggestion is complex, requiring the Company to have both an on-bill collection  
9       mechanism for receiving payments and also vendors capable of installing  
10      HPWH on a wide scale. Once that mechanism is established and qualified  
11      vendors are identified, the Company must then locate low-income customers –  
12      either homeowners or renters with owner approval – who have appropriate  
13      space, such as a garage or basement, and are willing to enter into a rental  
14      agreement. To date, that program design research is ongoing.

15      Non-Residential Multifamily Heat Pump Water Rebate Program

16      Members suggested that the Company approach multifamily property owners  
17      with the offer of a rebate for installing HPWHs. Each HPWH would serve  
18      multiple units within the building. To date, the Company has determined that it  
19      can include HPWH in the New Construction Energy Efficiency Design  
20      Assistance (“NCEEDA”) program, but no developer has expressed an interest  
21      in participating.

22      Manufactured Homes Retrofit Program

23      Members suggested a program that retrofits manufactured homes with more  
24      efficient heating and air conditioning equipment, replaces or repairs duct work,

1 and insulates and seals the structure's envelope. The Company has not  
2 developed this into a new program because all the measures recommended are  
3 already part of the Residential Smart \$aver program and thus currently available  
4 to manufactured homes.

5 Manufactured Home New and Replacement Programs

6 Members suggested that the Company begin a program to offer an incentive for  
7 replacing inefficient manufactured homes with Energy Star manufactured  
8 homes. The Company is investigating whether an incentive of this type can be  
9 included in the Residential New Construction program but has not determined  
10 if it is feasible. Again, the program design research is ongoing.

11 **Q. WHY DO YOU THINK WITNESS BRADLEY-WRIGHT IS**  
12 **DISSATISFIED WITH THE PROGRESS THAT PROGRAM IDEAS**  
13 **FROM STAKEHOLDERS HAVE MADE?**

14 A. Turning ideas into viable programs can be difficult work, and despite his  
15 expertise in policy work around the Southeast, Witness Bradley-Wright's  
16 testimony does not account for the technical side of program development. In  
17 other words, I believe that what Witness Bradley-Wright interprets as the  
18 Company's failure to take visible action is actually the nature of product  
19 development. In fact, Ideascale, an innovation management software company,  
20 estimates that only 10% of submitted ideas make their way to implementation.<sup>1</sup>  
21 Ideascale describes work to develop only a commercially viable product. In

---

<sup>1</sup> <https://ideascale.com/innovation-metrics-ideation-rate-vs-implementation-rate/> accessed September 14, 2021

1 contrast, DEP has the responsibility to develop, propose, implement and  
2 administer cost-effective DSM/EE programs that comply with this  
3 Commission's Rules and the Mechanism that the Commission has approved for  
4 use by the Company for DSM/EE program cost recovery purposes. These  
5 additional hurdles add complexity and time to the program development  
6 process.

7 **Q. IS THERE VALUE IN THE COLLABORATIVE SUBMITTING IDEAS**  
8 **IF IT APPEARS THAT NOT ALL WILL BE DEVELOPED INTO**  
9 **COMMERCIALLY VIABLE PROGRAMS?**

10 A. Yes, there is. The Company finds value in these suggestions. Even if the  
11 Company is not able to start up and implement a new program when the  
12 Collaborative submits an idea, the engagement assures that the Company is  
13 aware of as many potential opportunities to enhance and provide cost-effective  
14 programs for all DEP customers. Moreover, the Company often finds other  
15 value in their suggestions. For example, LIHTC opened up a new conversation  
16 with developers, and ESRPP will be a source in the future to confirm that the  
17 measure list remains expansive.

18 **Q. SHOULD THE COMPANY BE REQUIRED TO TRACK THE SAVINGS**  
19 **RESULTING FROM COLLABORATIVE SUGGESTIONS AND MEET**  
20 **DEADLINES FOR RESPONDING TO THEM?**

21 A. No, it should not. Deciding what portion of energy savings is attributable to the  
22 Collaborative and what portion the Company achieved on its own creates no  
23 benefit for customers and is antithetical to the nature of true collaboration.  
24 Since Collaborative members and the Company are aligned under the mission

1 statement above and a common desire to bring successful cost-effective  
2 EE/DSM programs to customers, attempting to track and assign credit for  
3 successes is unnecessary and counterproductive. Furthermore, because  
4 program development is already challenging, imposing arbitrary deadlines to  
5 speed up the process will likely undermine the Company's ability to give each  
6 suggestion the amount of research and investigation it warrants.

7 **Q. DID THE COMPANY NOTIFY THE COLLABORATIVE OF THE**  
8 **UPCOMING CHANGES IN SAVINGS PROJECTIONS IN EXISTING**  
9 **PROGRAMS FOR 2022?**

10 A. Witness Bradley-Wright testified that he was not aware of the Company's plans  
11 to substantially increase savings projections for many of its programs or to  
12 decrease the savings projections for the multifamily program. He went on to  
13 state that one of the implications of DEP's failure to communicate was that  
14 members were not able to comment on or contribute to the decision. Witness  
15 Bradley-Wright's testimony appears to be the result of his confusing the  
16 required application of EM&V results to the energy savings underlying the  
17 Company's 2022 projections with uncommunicated "plans" for the programs.  
18 The reality is the energy savings adjustments included in the projections for  
19 2022 are the result of EM&V studies, each of which was presented to the  
20 Collaborative in detail. The multifamily program – which was the only program  
21 with a reduction in savings, an adjustment Witness Bradley-Wright says the  
22 members would have found "concerning" – was directly tied to the EM&V  
23 study sent to all members in July 2020 and then reviewed during the four-hour

1 Collaborative meeting one week later. Witness Bradley-Wright received that  
2 study in its entirety and participated in the meeting where it was discussed.

3 **Q. DOES THIS CONCLUDE YOUR REBUTTAL TESTIMONY?**

4 **A. Yes.**

OFFICIAL COPY

Exp 06 2021

1 BY MS. FENTRESS:

2 Q Mr. Evans, I'll start with you. Do you have a  
3 summary of your rebuttal testimony?

4 A Yes, I do.

5 Q Can you please give your summary.

6 A The purpose of my rebuttal testimony is to  
7 respond to testimony of Forest Bradley-Wright,  
8 filed on behalf of the North Carolina Justice  
9 Center, the North Carolina Housing Coalition, the  
10 Southern Alliance for Clean Energy, and to the  
11 testimony of Michael Maness filed on behalf of  
12 Public the Staff.

13 In response to witness Bradley-Wright's  
14 comments about the 1 percent annual savings  
15 targets, I point out that the target is an  
16 aspirational goal and not an express requirement  
17 of the South Carolina Merger Settlement  
18 Agreement, which covered a multi-area period that  
19 ended in 2018.

20 The Company's attainment of this goal  
21 has been hampered by the lack of clarity on the  
22 Merger Settlement Agreement on the impact of  
23 eligible non-residential customers who opt out of  
24 participating in the Company's DSM and EE

1 programs.

2 Opt-out sales should be removed from  
3 the calculation savings goals since the customers  
4 that have opted out are not eligible to save in  
5 the Company's DSM/EE programs.

6 Next, I disagree with witness Bradley  
7 Wright's recommendation that the Company increase  
8 its low-income energy efficiency program budgets  
9 to match those of DEC on a per-residential basis,  
10 per-residential customer basis.

11 Increasing the budget will not  
12 necessarily increase participation or the  
13 associated savings in an EE program.

14 Next, I disagree with witness  
15 Bradley-Wright's position regarding the  
16 quantification of carbon savings associated with  
17 its DSM/EE portfolio because there are no  
18 transparent or recognized financial impacts  
19 within the DSM/EE mechanism associated explicitly  
20 with carbon savings. Such quantification is  
21 outside the scope of DEP's EE cost recovery  
22 filings at this time.

23 Finally, I disagree with witness  
24 Bradley-Wright's comments on the Market Potential

1 Study, (MPS). Although the MPS is used to inform  
2 program offerings, it is not a direct input into  
3 energy savings in the Company's 2022 projection  
4 in this proceeding.

5 Witness Bradley-Wright's concern  
6 regarding the MPS and the impact of utilizing the  
7 TRC versus UCT for planning purposes is more  
8 appropriate in integrated resource planning  
9 proceedings rather than in this annual rider  
10 proceeding.

11 With respect to the recommendation of  
12 Public Staff witness Maness to refine the Find It  
13 Duke referral channel accounting, the Company is  
14 working with the Public Staff to identify and  
15 quantify the applicable non-EE related referral  
16 costs and revenues so that they may be removed  
17 from the requested cost recovery in this  
18 proceeding.

19 The Company will also review and, if  
20 appropriate, discuss with the Public Staff the  
21 impact of the Commission's decision prior to the  
22 Duke Energy Carolinas, LLC or the Company's next  
23 annual rider proceeding. This concludes my  
24 summary.

1 MS. FENTRESS: Thank you, Mr. Evans.

2 Ms. Shafer, do you have a summary of your rebuttal  
3 testimony?

4 MS. SHAFER: I do.

5 MS. FENTRESS: Could you please give your  
6 summary.

7 A My rebuttal testimony responds to statements of  
8 Forest-Bradley-Wright, filed on behalf of the  
9 North Carolina Justice Center, the North Carolina  
10 Housing Coalition, and the Southern Alliance for  
11 Clean Energy pertaining to the Energy Efficiency  
12 and Demand-Side Management Collaborative.

13 Witness Bradley-Wright asserted that  
14 the Company has not acted on Collaborative  
15 suggestions --

16 COMMISSIONER BROWN-BLAND: Ms. Shafer?

17 MS. SHAFER: Yes.

18 COMMISSIONER BROWN-BLAND: Just a minute.  
19 We're hearing some interference or feedback with your  
20 microphone, I believe, and I'm not sure what's causing  
21 it. I want to be sure the court reporter is able to  
22 take down what you're saying. Madam court reporter,  
23 are you able to hear?

24 (No response)

1 COMMISSIONER BROWN-BLAND: Chair Mitchell is  
2 there with you and is able to understand that you  
3 can't hear. Ms. Shafer, you may continue.

4 A Witness Bradley-Wright asserted that the Company  
5 has not acted on Collaborative suggestions  
6 appropriately or communicated savings projections  
7 in a way that would allow for meaningful  
8 participation by Collaborative members.

9 With respect to implementing  
10 Collaborative suggestions, the Company is eager  
11 to find new ways to encourage energy efficiency,  
12 but the process to develop ideas into  
13 cost-effective, scalable, commercially viable  
14 programs is complex.

15 DEP must develop, implement, and  
16 administer programs that are not only  
17 cost-effective but also comply with Commission  
18 rules and orders.

19 Witness Bradley-Wright erroneously  
20 characterizes the Company's deliberate nature in  
21 the product development as a failure to act on  
22 suggestions of Collaborative members.

23 The Company finds value in  
24 Collaborative suggestions, even if the Company is

1 not able to implement a new program at this time.

2 My testimony addresses the seven  
3 Collaborative recommendations that witness  
4 Bradley-Wright cited in his testimony.

5 With respect to witness  
6 Bradley-Wright's recommendation to track savings  
7 that result from Collaborative suggestions, I  
8 believe that attempting to track and assign  
9 credit for success is not only unnecessary but  
10 also antithetical to the mission statement of the  
11 Collaborative.

12 Additionally, imposing arbitrary  
13 deadlines to speed up program development will  
14 likely undermine the Company's ability to give  
15 each suggestion the amount of research and  
16 investigation it warrants.

17 Additionally, witness Bradley-Wright  
18 stated that he was unaware of upcoming changes in  
19 the savings projections for existing programs in  
20 2022, which, in his opinion, implied that  
21 Collaborative members were unable to comment on  
22 or contribute to the decision.

23 The reality is that energy savings  
24 adjustments are the result of EM&V studies, each

1 of which was presented to the Collaborative in  
2 detail.

3 For example, the EM&V study for the  
4 only program to have a reduction in savings, the  
5 multi-family program, was sent to the  
6 Collaborative in July, 2020 and then reviewed  
7 during the four-hour Collaborative meeting one  
8 week later.

9 Witness Bradley-Wright received that  
10 study and participated in the meeting where it  
11 was discussed. This concludes the summary of my  
12 testimony.

13 MS. FENTRESS: The witnesses are available  
14 for cross-examination.

15 COMMISSIONER BROWN-BLAND: Is there  
16 cross-examination for these witnesses?

17 (No response)

18 COMMISSIONER BROWN-BLAND: None for the  
19 Public Staff. I see the Joint Intervenors. None for  
20 the Joint Intervenors. CIGFUR?

21 MS. CRESS: No questions.

22 COMMISSIONER BROWN-BLAND: And CUCA?

23 MR. SCHAUER: No questions from CUCA. Thank  
24 you.

NORTH CAROLINA UTILITIES COMMISSION

1 COMMISSIONER BROWN-BLAND: Thank you. Are  
2 there questions from the Commissioners? I see  
3 Commissioner Hughes.

4 EXAMINATION BY COMMISSIONER HUGHES:

5 Q Yes. I'm just curious, and this is a question  
6 for either of the witnesses, if they participated  
7 in this debate about how to improve the 1 percent  
8 and the budgeting during the Collaborative, if  
9 this conversation has been going on in the  
10 Collaborative meetings as well?

11 A I'll answer that. It has been going on with  
12 Collaborative. The Collaborative has been  
13 focused on meeting that 1 percent threshold, not  
14 because it's a mandated target but because  
15 it's -- as witness Bradley-Wright stated in his  
16 testimony, it's a metric that is important to  
17 Collaborative members.

18 So we have been talking about the 1  
19 percent. And, in fact, witness Bradley-Wright,  
20 he was an active and valuable member of our  
21 Collaborative, is spearheading the subgroup or  
22 the working group that is developing a plan right  
23 now to meet that 1 percent.

24 As far as the budgeting goes, we

1 discussed with the Collaborative many times that  
2 the budget that we bring to the rider filing is  
3 used to set rates.

4 So if we arbitrarily increase the  
5 budget, as if agreeing to spend more money will  
6 do the trick, then what will actually happen,  
7 what's guaranteed to happen, is that our rate  
8 goes up. What's not guaranteed to happen is that  
9 our energy savings goes up.

10 So we prefer to set our budgets rather  
11 conservatively, but we have no cap, and we  
12 discussed with the Collaborative many times. If  
13 we have more demand than we have budgeted for, we  
14 meet that demand, we serve those customers, and  
15 then our regulatory recovery mechanism allows for  
16 true-up in subsequent years so we can handle it  
17 that way.

18 Q Thank you. And just as a follow-up question,  
19 have you discussed alternative or additional  
20 target to metrics? I know we have some sub that  
21 targets for low-income, but have there been any  
22 discussion about modifying that 1 percent or  
23 having an additional or alternative performance  
24 target?

1 A We have talked about that. That's part of the  
2 working group that witness Bradley-Wright is  
3 spearheading, because as you know, energy  
4 efficiency is only one part of Demand-Side  
5 Management.

6 We also have Demand response, and then  
7 we also have specific customer groups that we'd  
8 like to target, not just low-income but also  
9 small businesses.

10 And so that is in discussion, and, you  
11 know, we're leaning on the expertise of witness  
12 Bradley-Wright to help us with that.

13 COMMISSIONER HUGHES: Thank you. No further  
14 questions.

15 COMMISSIONER BROWN-BLAND: Any other  
16 questions from the Commission?

17 (No response)

18 COMMISSIONER BROWN-BLAND: I'm not seeing  
19 any. Are there questions on Commission's questions?  
20 Ms. Fentress?

21 MS. FENTRESS: I do have one -- a couple,  
22 Madam Chair.

23 EXAMINATION BY MS. FENTRESS:

24 Q Ms. Shafer, do you have in front of you what

1 was -- what has been marked DEP's SACE, NCJC,  
2 NCHC Redirect Exhibit Number 1? And I believe  
3 this was provided to the parties and the  
4 Commission on Friday afternoon.

5 A I do.

6 Q And can you tell us what the title of that  
7 exhibit is?

8 A That is Energy Efficiency in the Southeast. It's  
9 the Southern Lights Clean Energy's annual report  
10 published in January of this year.

11 Q And I believe Commissioner Hughes was asking you  
12 about DEP's efforts to meet the 1 percent savings  
13 target. Can you turn to page 6 of that exhibit?

14 A Yes, ma'am. I'm there.

15 Q Can you describe for us how well DEP does in  
16 comparison with other Southeast utilities who are  
17 similarly situated with climate geography with  
18 respect to meeting percentage of prior year  
19 retail sales and energy savings?

20 A Gladly. So DEP is number 2 in the southeast, as  
21 you can see from SACE's report, second only to  
22 DEC, but far ahead of not only the national  
23 average, but way ahead of number 3 Georgia Power,  
24 so DEP is performing very well.

1                   And although it's difficult to compare  
2                   savings across utilities because each state and  
3                   jurisdiction has its own regulatory constraints  
4                   or just ways of calculating savings, I think that  
5                   comparing the companies to their peer utilities  
6                   in the southeast is probably the most accurate or  
7                   at least the most helpful benchmark, and you can  
8                   see from SACE's report that DEP has done very  
9                   well.

10       Q       Thank you. When you were talking about states,  
11               just to follow up, if you turn to page 5 of that  
12               report, and let me know when you're there.

13       A       I'm there.

14       Q.      Thank you. How does North Carolina stack up  
15               with respect to energy savings as the percentage  
16               of prior years retail sales?

17       A      North Carolina outstripped its number 2 South  
18               Carolina by quite a bit, .66 percent as opposed  
19               to South Carolina at .41 percent. They're very  
20               close to the national average of .67, which  
21               considering the climate that the Carolinas have,  
22               it's quite an achievement.

23               MS. FENTRESS: Thank you. That is all I  
24               have for Ms. Shafer.

1 COMMISSIONER BROWN-BLAND: Thank you. Joint  
2 Intervenors? Any questions on Commission's questions?

3 MR. SCHAUER: No questions. Thank you.

4 COMMISSIONER BROWN-BLAND: CIGFUR?

5 MS. CRESS: No questions. Thank you.

6 COMMISSIONER BROWN-BLAND: CUCA?

7 MR. SCHAUER: No questions from CUCA.

8 Thank you.

9 COMMISSIONER BROWN-BLAND: Ms. Fentress.

10 MS. FENTRESS: Yes. I would like to move  
11 DEP's SACE, NCJC, NCHC Redirect Exhibit Number 1 into  
12 the record, please.

13 COMMISSIONER BROWN-BLAND: Without  
14 objection, that motion is allowed and the exhibit is  
15 received into evidence.

16 (WHEREUPON, DEP - SACE, NCJC,  
17 NCHC Redirect Exhibit 1 is  
18 identified and received into  
19 evidence.)

20 COMMISSIONER BROWN-BLAND: Ms. Fentress, I  
21 don't recall that we brought the application in.

22 MS. FENTRESS: Oh. I would like to please  
23 move that into the record as well.

24 COMMISSIONER BROWN-BLAND: Without

NORTH CAROLINA UTILITIES COMMISSION

1 objection, the application will be received into the  
2 record, and the panel witnesses are excused.

3 (WHEREUPON, Duke Energy's  
4 Application is admitted into  
5 evidence.)

6 COMMISSIONER BROWN-BLAND: Is there anything  
7 else that pertains to the case that needs to be  
8 brought to the Commission's attention at this time?  
9 If not, will we go with the customary proposed orders  
10 and briefs, are due 30 days from the publication of  
11 the transcript?

12 (No response)

13 COMMISSIONER BROWN-BLAND: It will be so  
14 ordered. And I believe, Ms. Fentress, you have a  
15 little bit of a list of late-filed exists to bring.

16 MS. FENTRESS: We will get that to the  
17 Commission very quickly.

18 COMMISSIONER BROWN-BLAND: If there's  
19 nothing else to come before the Commission at this  
20 time -- any one needs to clear anything up that  
21 transpired in our time together?

22 (No response)

23 COMMISSIONER BROWN-BLAND: Then we will be  
24 adjourned, everybody.


1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

-----  
WHEREUPON, this Proceeding is adjourned.  
-----

NORTH CAROLINA UTILITIES COMMISSION

## C E R T I F I C A T E

I, TONJA VINES, DO HEREBY CERTIFY that the Proceedings in the above-captioned matter were taken before me, that I did report in stenographic shorthand the Proceedings set forth herein, and the foregoing pages are a true and correct transcription to the best of my ability.



---

Tonja Vines