

1 PLACE: Dobbs Building, Raleigh, North Carolina
2 DATE: Monday, September 9, 2019
3 TIME: 2:11 p.m. - 3:56 p.m.
4 DOCKET NO.: E-2, Sub 1206
5 BEFORE: Commissioner ToNola D. Brown-Bland, Presiding
6 Chair Charlotte A. Mitchell
7 Commissioner Lyons Gray
8 Commissioner Daniel G. Clodfelter
9

10 **IN THE MATTER OF:**

11 Application of Duke Energy Progress, LLC,
12 for Approval of Demand-Side Management and Energy
13 Efficiency Cost Recovery Rider Pursuant to
14 N.C.G.S. § 62-133.9 and NCUC Rule R8-69
15
16
17
18
19
20
21
22
23
24

1 A P P E A R A N C E S:

2 FOR DUKE ENERGY PROGRESS, LLC:

3 Kendrick Fentress, Esq.

4 Associate General Counsel

5 Duke Energy Corporation

6 411 Fayetteville Street

7 Raleigh, North Carolina 27601

8
9 FOR CAROLINA UTILITY CUSTOMERS ASSOCIATION, INC.:

10 Robert F. Page, Esq.

11 Crisp & Page, PLLC

12 4010 Barrett Drive, Suite 205

13 Raleigh, North Carolina 27609

14
15 FOR NORTH CAROLINA SUSTAINABLE ENERGY ASSOCIATION:

16 Benjamin Smith, Esq.

17 Regulatory Counsel

18 4800 Six Forks Road, Suite 300

19 Raleigh, North Carolina 27609

1 A P P E A R A N C E S Cont'd.:

2 FOR SIERRA CLUB:

3 David L. Neal, Esq.

4 Senior Attorney

5 Gudrun Thompson, Esq.

6 Senior Attorney

7 Southern Environmental Law Center

8 601 West Rosemary Street, Suite 220

9 Chapel Hill, North Carolina 27516

10

11 FOR CAROLINA INDUSTRIAL GROUP FOR FAIR UTILITY

12 RATES, II:

13 Ralph McDonald, Esq.

14 Bailey & Dixon

15 434 Fayetteville Street, Suite 2500

16 Raleigh, North Carolina 27601

17

18 FOR THE USING AND CONSUMING PUBLIC:

19 Lucy Edmondson, Esq.

20 North Carolina Utilities Commission - Public Staff

21 4326 Mail Service Center

22 Raleigh, North Carolina 27699-4300

23

24

NORTH CAROLINA UTILITIES COMMISSION

1	T A B L E O F C O N T E N T S	
2	E X A M I N A T I O N S	
3	CAROLYN T. MILLER	
4	Prefiled Direct and Supplemental Testimony.....	11
5	ROBERT P. EVANS	
6	Direct Examination by Ms. Fentress.....	43
7	Cross Examination by Mr. Neal.....	95
8	Examination by Ms. Edmondson.....	102
9	Redirect Examination by Ms. Fentress.....	103
10	Examination by Commissioner Clodfelter.....	105
11	Examination by Commissioner Brown-Bland.....	106
12	Examination by Chair Mitchell.....	114
13	Further Examination by Commissioner Clodfelter.	116
14	FOREST BRADLEY-WRIGHT	
15	Direct Examination by Mr. Neal.....	119
16	Cross Examination by Mr. Page.....	164
17	Redirect Examination by Mr. Neal.....	165
18	Examination by Chair Mitchell.....	166
19	Examination by Commissioner Clodfelter.....	173
20	Examination by Commissioner Brown-Bland.....	175
21	Examination by Ms. Fentress.....	183
22	MICHAEL C. MANESS	
23	Prefiled Direct Testimony and	
24	Appendices A and B.....	187

E X A M I N A T I O N S Cont'd.:

DAVID WILLIAMSON

Direct Examination by Ms. Edmondson.....	207
Examination by Commissioner Brown-Bland.....	236
Examination by Commissioner Clodfelter.....	245

E X H I B I T S

Identified / Admitted

Application by Duke Energy Progress, LLC.....	11/11
Miller Exhibits 1 - 6.....	11/11
Supplemental Miller Exhibits 1, 2 and 3.....	11/11
Evans Exhibits 1 - 9A, 9B, 9C, 10 and 11.....	46/46
Evans Exhibits A - I.....	46/46
Supplemental Evans Exhibit 1.....	46/46
NCJC et al Evans Cross Exhibit 1.....	96/118
FBW-1 and FBW-2 Exhibits.....	122/186
Williamson Exhibits 1 and 2.....	208/246

P R O C E E D I N G S

COMMISSIONER BROWN-BLAND: Good afternoon.
Let's come back to order. I'm Commissioner ToNola D.
Brown-Bland with the North Carolina Utilities
Commission, Presiding Commissioner for this hearing.
With me today are Chair Charlotte A. Mitchell,
Commissioners Lyons Gray and Daniel G. Clodfelter.

I now call for hearing Docket Number E-2,
Sub 1206 in the Matter of Application of Duke Energy
Progress, LLC for Approval of Demand-Side Management
and Energy Efficiency Cost Recovery Rider Pursuant to
G.S. 62-133.9 and Commission Rule R8-69.

G.S. 62-133.9 establishes the procedure for
cost recovery of Demand-Side Management, DSM, and
Energy Efficiency, EE, expenditures and provides for
an annual DSM/EE Rider for electric public utilities
to recover all reasonable and prudent costs incurred
as well as appropriate incentives for adoption and
implementation of new DMS and EE measures.

On June 11th, 2019 Duke Energy Progress,
LLC, DEP or Applicant, filed its Application for
approval of DSM and EE Cost Recovery Rider pursuant to
General Statute 62-133.9 and Commission Rule R8-69
supported by the direct testimony and exhibits of

1 Carolyn T. Miller and Robert P. Evans filed with the
2 Application.

3 On June 24th, 2019, the Commission issued an
4 Order Scheduling Hearing, Requiring Filing of
5 Testimony, Establishing Discovery Guidelines, and
6 Requiring Public Notice, which Order scheduled the
7 hearing in this docket for today, Monday, September
8 9th, 2019, at two o'clock p.m.

9 The following parties filed petitions to
10 intervene, which were allowed by Order of the
11 Commission; North Carolina Sustainable Energy
12 Association, Carolina Utility Customers Association,
13 Inc., Carolina Industrial Group for Fair Utility
14 Rates, II, and the Southern Alliance for Clean Energy,
15 North Carolina Justice Center, and North Carolina
16 Housing Coalition hereafter SACE or S-a-c-e, Justice
17 and Housing.

18 The intervention and participation of the
19 Public Staff is recognized pursuant to G.S. 62-15(d)
20 and Commission Rule R1-19(e).

21 On August 19, 2019, the Public Staff filed
22 the testimony and exhibits of David M. Williamson and
23 Michael C. Maness. Also on August 19, SACE, Justice
24 and Housing filed the testimony and exhibits of Forest

1 Bradley-Wright.

2 On August 28th, 2019, DEP filed the rebuttal
3 testimony of Robert P. Evans.

4 And on September 4th, 2019 DEP filed the
5 supplemental testimony of Carolyn T. Miller and the
6 supplemental exhibits of witnesses Miller and Evans.

7 On September 5th, 2019, DEP, SACE, Justice
8 and Housing, and the Public Staff filed a Joint Motion
9 to Excuse DEP Witness Miller and Public Staff
10 Witnesses Williamson and Maness.

11 On September 6, 2019, the Commission issued
12 an Order Granting the Motion In Part by excusing
13 Witnesses Miller and Maness from attending today's
14 hearing, but declining to excuse Witness Williamson.

15 Also on September 6, 2019, DEP filed
16 Affidavits of Publication of the required public
17 notice of this hearing.

18 On September 9th, 2019, the Public Staff
19 filed a letter stating that the supplemental testimony
20 filed by DEP on September the 5th, 2019 adequately
21 addressed the DSM/EE rate adjustments previously
22 recommended by the Public Staff.

23 In compliance with the requirement of
24 Chapter 163(a) of the State Government Ethics Act, I

1 remind the members of the Commission of our duties to
2 avoid any know conflicts of interest and I inquire at
3 this time whether any member has any known conflict of
4 interest with respect to the matter before us this
5 morning -- or this afternoon?

6 (No response)

7 Let the record reflect no conflicts were
8 identified. And I'll now call for appearances of
9 counsel.

10 MS. FENTRESS: Good afternoon. I am
11 Kendrick Fentress appearing on behalf of Duke Energy
12 Progress.

13 COMMISSIONER BROWN-BLAND: Thank you, Ms.
14 Fentress.

15 MR. SMITH: Ben Smith appearing on of the
16 North Carolina Sustainable Energy Association.

17 MR. NEAL: Good afternoon, Commissioner
18 Brown-Bland. David Neal with the Southern
19 Environmental Law Center appearing on behalf of the
20 North Carolina Justice Center, North Carolina Housing
21 Coalition, and Southern Alliance for Clean Energy,
22 with me is Gudrun Thompson also with SELC.

23 COMMISSIONER BROWN-BLAND: All right.
24 You've got a mouthful there, Mr. Neal.

1 MR. NEAL: Yes.

2 MR. PAGE: Robert Page, Carolina Utility
3 Customers Association.

4 COMMISSIONER BROWN-BLAND: All right. Thank
5 you.

6 MR. McDONALD: Ralph McDonald for the
7 Carolina Industrial Group for Fair Utility Rates, II.

8 COMMISSIONER BROWN-BLAND: Thank you.

9 MS. EDMONDSON: Lucy Edmondson with the
10 Public Staff on behalf of the Using and Consuming
11 Public.

12 COMMISSIONER BROWN-BLAND: All right.
13 Ms. Edmondson, are there -- have you identified any
14 public witnesses who wish to be heard regarding this
15 matter today?

16 MS. EDMONDSON: I have not.

17 COMMISSIONER BROWN-BLAND: All right. Out
18 of abundance of caution, is there anyone in the
19 audience who wishes to provide public witness
20 testimony in this proceeding? The record will reflect
21 no one is coming forward.

22 All right. Any other preliminary matters
23 before we begin this hearing? All right. Then the
24 case is with the Applicant.

1 MS. FENTRESS: Thank you. Madam Chair, if
2 it is all right with the Commission, I can move Ms.
3 Miller's testimony into the record, and then call
4 Mr. Evans to testify. Is that okay for me to proceed?
5 With that, I will enter the Application and
6 Ms. Miller's direct and supplemental testimony into
7 the record and ask that it be admitted as evidence.
8 And then I will pass out the summaries of Mr. Evans'
9 testimony while he approaches to testify, if that's
10 all right.

11 COMMISSIONER BROWN-BLAND: All right. If
12 there's no objection to the receipt in evidence of the
13 testimony of Witness Miller, that motion is allowed
14 and her -- the supplemental -- the exhibits that she
15 filed with her prefiled testimony are all received
16 into the record as evidence.

17 MS. FENTRESS: Thank you.

18 (WHEREUPON, Application by Duke
19 Energy Progress, LLC, Miller
20 Exhibits 1 - 6 and Supplemental
21 Miller Exhibits 1 - 3 are marked
22 for identification as prefiled and
23 received into evidence.)

24 (WHEREUPON, the prefiled direct

1 and supplemental testimony of
2 CAROLYN T. MILLER is copied into
3 the record as if given orally from
4 the stand.)
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

BEFORE THE NORTH CAROLINA UTILITIES COMMISSION

DOCKET NO. E-2, SUB 1206

In the Matter of)	DIRECT TESTIMONY OF
Application of Duke Energy Progress, LLC)	CAROLYN T. MILLER
for Approval of Demand-Side Management)	FOR
and Energy Efficiency Cost Recovery Rider)	DUKE ENERGY PROGRESS,
Pursuant to N.C. Gen. Stat. § 62-133.9 and)	LLC
Commission Rule R8-69)	

1 I. INTRODUCTION AND PURPOSE

2 Q. PLEASE STATE YOUR NAME, BUSINESS ADDRESS AND
3 POSITION WITH DUKE ENERGY CORPORATION.

4 A. My name is Carolyn T. Miller, and my business address is 550 South Tryon
5 Street, Charlotte, North Carolina. I am a Manager, Rates & Regulatory
6 Strategy for Duke Energy Carolinas, LLC (“DEC”), supporting both Duke
7 Energy Progress, LLC (“DEP” or the “Company”) and DEC.

8 Q. PLEASE BRIEFLY STATE YOUR EDUCATIONAL BACKGROUND
9 AND EXPERIENCE.

10 A. I graduated from the College of New Jersey in Trenton, New Jersey with a
11 Bachelor of Science in Accountancy. I am a certified public accountant
12 licensed in the State of North Carolina. I began my career in 1994 with Ernst
13 & Young as a staff auditor. In 1997, I began working with Duke Energy as a
14 senior business analyst and have held a variety of positions in the Finance
15 organization. I joined the Rates Department in 2014 as Manager, Rates and
16 Regulatory Strategy.

17 Q. HAVE YOU PREVIOUSLY PROVIDED TESTIMONY IN MATTERS
18 BROUGHT BEFORE THIS COMMISSION?

19 A. Yes. I provided testimony in support of DEC’s applications for approval of its
20 demand-side management (“DSM”) and energy efficiency (“EE”) cost
21 recovery rider in Docket No. E-7, Subs 1073, 1105, 1130, 1164, and 1192 as
22 well as DEP’s application for approval of its DSM/EE cost recovery rider in
23 Docket No. E-2, Subs 1070, 1108, 1145, and 1174.

1 **Q. WHAT ARE YOUR CURRENT RESPONSIBILITIES?**

2 A. I am responsible for providing regulatory support for retail rates and providing
3 guidance on DEC's and DEP's DSM/EE cost recovery process.

4 **Q. WHAT IS THE PURPOSE OF YOUR TESTIMONY?**

5 A. The purpose of my testimony is to explain and support DEP's proposed
6 DSM/EE cost recovery rider and Experience Modification Factor ("EMF")
7 and provide information required by Commission Rule R8-69.

8 **Q. PLEASE DESCRIBE THE EXHIBITS ATTACHED TO YOUR**
9 **TESTIMONY.**

10 A. Miller Exhibit 1 provides a summary of the proposed annual rates by customer
11 class. Miller Exhibit 2, pages 1 through 3, shows the calculation of the DSM
12 and EE rates for the rate period, as well as the breakdown by program of the
13 various components of the estimated revenue requirement. Miller Exhibit 2,
14 pages 4 through 6, presents the calculation of the DSM EMF and EE EMF
15 rates for the test period, as well as the breakdown by program of the various
16 components of the final revenue requirement. Adjustments resulting from
17 Evaluation, Measurement and Verification ("EM&V") of the Company's
18 DSM/EE programs are also presented in Miller Exhibit 2, page 7. Miller
19 Exhibit 3, pages 1 through 4, calculates the amount of interest or return due on
20 over- and under-collections for Vintage 2018. Miller Exhibit 4 shows a
21 summary of revenue collected during calendar year 2018 by program type and
22 customer class. Miller Exhibit 5, pages 1 through 7, presents the allocation
23 factors used in the development of the rider, including the energy allocation

1 factors applicable to DSM and EE program costs, the North Carolina and
2 South Carolina retail allocation factors, and the lighting allocation factors.
3 Miller Exhibit 6 includes both forecasted 2020 sales from the Spring
4 2019 forecast and the impact of opt-outs.

5 **Q. WERE MILLER EXHIBITS 1-6 PREPARED BY YOU OR AT YOUR**
6 **DIRECTION AND SUPERVISION?**

7 A. Yes.

8 **II. SUMMARY OF DSM/EE COSTS**

9 **Q. CAN YOU PROVIDE A SUMMARY OF THE COSTS FOR WHICH**
10 **DEP IS REQUESTING RECOVERY IN THIS PROCEEDING?**

11 A. Yes. The DSM/EE costs DEP is requesting to recover through the rates
12 proposed in this proceeding are associated with the costs incurred during the
13 test period, as well as the costs forecasted to be incurred during the rate
14 period. The test period utilized in the development of the DSM/EE EMF is
15 January 1, 2018 through December 31, 2018. The North Carolina allocated
16 share of recoverable DSM/EE costs for the test period is \$167,740,012. For
17 the rate period of January 1, 2020 through December 31, 2020, the North
18 Carolina allocated share of forecasted DSM/EE costs is \$163,323,186. The
19 total North Carolina allocated share of DSM/EE costs for the test period plus
20 the rate period is \$331,063,198.

21 A summary of the costs associated with DEP's recovery request by
22 period and by DSM/EE program/measure is provided in the following table:
23

Program/Measure	Test Period	Rate Period
	1/1/18 through 12/31/18	1/1/20 through 12/31/20
CIG DR	\$1,691,101	\$3,068,574
EnergyWise	\$17,700,771	\$20,018,110
EnergyWise for Business	\$1,666,383	\$2,384,804
DSDR Implementation	\$23,242,626	\$22,542,717
Residential Home Advantage	\$176,476	\$140,907
Residential Smart Saver/Home Energy Improvement	\$6,874,771	\$3,851,610
Residential Low Income – NES	\$1,634,768	\$1,824,212
CIG EE/EE For Business	\$8,638,552	\$6,343,437
Energy Efficient Lighting	\$17,685,537	\$13,312,359
Appliance Recycling	\$171,919	\$91,207
My Home Energy Report	\$12,620,393	\$13,807,504
Small Business Energy Saver	\$14,088,318	\$12,503,856
Residential New Construction	\$12,476,136	\$13,405,275
Multi-Family EE	\$4,016,501	\$5,202,480
Energy Education Program for Schools	\$769,164	\$1,103,873
Save Energy & Water Kit	\$3,243,453	\$5,408,415
Residential Energy Assessments	\$2,363,723	\$2,669,692
Smart Saver Prescriptive	\$18,403,196	\$15,992,469
Smart Saver Custom	\$2,018,232	\$4,406,197
Smart Saver Performance Incentive	\$75,938	\$635,617
Administrative & General Costs	\$3,626,595	\$5,528,049
Carrying Cost on Balances	\$14,767,187	\$14,145,611
Found Revenue (total)	\$(211,727)	\$(63,791)
Lost Revenue Decrement		\$(5,000,000)
Total Cost	\$167,740,012	\$163,323,186

- 1 In addition to the summary table above, Miller Exhibit 2, page 3, and
- 2 Miller Exhibit 2, page 6, provide additional categorizations by cost element.
- 3 **Q. ARE DEP'S PROPOSED RATES DESIGNED TO RECOVER THE**
- 4 **TOTAL NORTH CAROLINA ALLOCATED SHARE OF \$331,063,198?**
- 5 A. No. Because many of the expenses incurred during the current test period to
- 6 develop and implement DEP's DSM/EE programs produce benefits covering
- 7 several years, a significant portion of those expenses will be deferred and
- 8 recovered over varying amortization periods. A summary of the amortization

- 1 periods for program expenses and Program/Portfolio Performance Incentive
- 2 (“PPI”)¹ is shown below:

Length of Amortization Period				
Program Name	Program Cost – batches prior to 2016	Program Cost – 2016 – present	PPI – vintages prior to 2016	PPI – 2016 – present
CIG DR	10	3	10	3
EnergyWise	10	10	10	10
EnergyWise for Business	N/A	3	N/A	1
DSDR Implementation	10	10	N/A	N/A
Residential Home Advantage	10	N/A	10	N/A
Residential Smart Saver/Home Energy Improvement	10	10	10	10
Residential Low Income – NES	10	10	10	10
Energy Efficient Lighting	5	5	10	5
Appliance Recycling	10	10	10	10
My Home Energy Report	1	1	1	1
Residential New Construction	10	10	10	10
CFL Pilot	10	N/A	10	N/A
Solar Hot Water Pilot	10	N/A	10	N/A
Multi-Family EE	5	5	5	5
Energy Education	5	5	5	5
CIG EE	10	3	10	3
Save Water & Energy Kit	N/A	5	N/A	5
Residential Energy Assessments	N/A	5	N/A	5
Small Business Energy Saver	10	3	10	3
Smart Saver Prescriptive	3	3	3	3
Smart Saver Performance	3	3	3	3

¹ As explained further below, for vintages prior to 2016, incentives are calculated on a program basis. Pursuant to the Commission’s *Order Approving Revised Cost Recovery Mechanism and Granting Waivers* issued January 20, 2015 in Docket No. E-2, Sub 931 (“Order Approving Revised Mechanism”), which applies to Vintages 2016 and forward, incentives under the Company’s revised cost recovery mechanism are calculated on a portfolio basis. For ease of reference, I will refer to both incentives as “PPI.”

Length of Amortization Period				
Program Name	Program Cost – batches prior to 2016	Program Cost – 2016 – present	PPI – vintages prior to 2016	PPI – 2016 – present
Smart Saver Custom	3	3	3	3
Admin. & General	3	3	3	N/A

In addition to the aforementioned deferrals, DEP's proposed rates include the recognition and amortization of prior period deferrals. In total, the EMF-related calculations based on test period costs reflect an estimated under-recovery of \$8,787,707. The DSM/EE rate calculations associated with rate period estimates are based on a revenue requirement of \$168,018,977. The rate period and EMF revenue requirements produce a combined revenue requirement of \$176,806,683. Miller Exhibit 2, pages 1 and 2, and Miller Exhibit 2, pages 4 and 5, detail the calculation of these amounts.

III. EMF REVENUE REQUIREMENT

Q. HOW WAS THE DSM/EE EMF UNDER-RECOVERY OF \$8,787,707 DETERMINED?

A. The EMF under-recovery is a function of the sum of test period costs, including amounts relating to the amortization of deferred costs from prior periods, and credits for actual DSM/EE rider revenues for the period January 1, 2018 through December 31, 2018. The following table illustrates the relationship of these elements with respect to the determination of the DSM/EE EMF:

Rate Element	Amounts
Test Period Revenue Requirement	\$171,490,556
Net DSM/EE Rate Revenue	\$162,055,933
Add: Other Adjustments	\$646,916
Total EMF Adjustments	\$162,702,849
Adjusted DSM/EE EMF Revenue Requirement	\$8,787,707

1 Miller Exhibit 2, pages 4 through 7, provides additional details
2 associated with the development of these amounts.

3 **Q. PLEASE DESCRIBE THE \$646,916 THAT HAS BEEN**
4 **CATEGORIZED AS “OTHER ADJUSTMENTS.”**

5 A. The \$646,916 in “Other Adjustments” is the sum of lines 2 through 8 on page
6 7 of Miller Exhibit 2. Lines 2 and 3 are reserved for prospective uncollectible
7 allowances in DEP’s DSM/EE rates. DEP is not requesting an uncollectible
8 adjustment as a part of its cost recovery request in this proceeding. In
9 addition, the adjustments found on lines 4 through 7 reflect the true-up of PPI
10 and net lost revenues for the 2016 and 2017 vintages. The last of these
11 adjustments, found on line 8, recognizes estimated interest owed and return
12 earned for revenue over- and under-collections during the period extending
13 from January 1, 2018 through December 31, 2018. The Direct Testimony of
14 Company witness Robert P. Evans provides further detail on program-specific
15 impacts to PPI and net lost revenues.

16 **IV. RATE PERIOD REVENUE REQUIREMENT**

17 **Q. PLEASE DESCRIBE THE BASIS FOR THE RATE PERIOD**
18 **REVENUE REQUIREMENT.**

19 A. As indicated previously, the estimated revenue requirement for the rate period
20 is \$168,018,977. This amount reflects the anticipated costs and necessary
21 recoveries for the rate period, which extends from January 1, 2020 through
22 December 31, 2020. The \$168,018,977 revenue requirement includes: (1)
23 \$21,335,721 for anticipated rate period program expenses; (2) amortizations

1 and carrying costs associated with deferred prior period costs totaling
2 \$76,663,150; (3) recovery of Distribution System Demand Response
3 (“DSDR”) depreciation and capital costs totaling \$17,666,196; (4) net lost
4 revenues for the rate period totaling \$27,919,544 for vintage years 2018
5 through 2020; and (5) PPI totaling \$24,434,366 associated with vintage years
6 2011 through 2020.

7 **V. JURISDICTIONAL COST ALLOCATION**

8 **Q. HOW ARE DSM AND EE PROGRAM COSTS ALLOCATED TO THE**
9 **NORTH CAROLINA RETAIL JURISDICTION?**

10 A. DEP determines the total amount of recoverable costs and separates these
11 costs into three categories: (1) DSM-related costs, (2) EE-related costs, and
12 (3) costs that provide a system benefit in support of both DSM and EE
13 programs. For each of these categories, different allocation methods are
14 employed to assign those costs to the appropriate jurisdiction.

15 **Q. HOW ARE COSTS IDENTIFIED AS EE-RELATED ALLOCATED TO**
16 **NORTH CAROLINA?**

17 A. Any program costs that are identified as being EE-related, including
18 administrative and general (“A&G”) costs, are allocated to the North Carolina
19 retail jurisdiction based upon the ratio of North Carolina retail sales to DEP
20 system retail sales at the point of generation. For calendar year test periods
21 beginning in year 2016, the allocation percentage for the entire calendar year
22 test period is based on the latest cost of service study available at the time of
23 filing. Please note that the 2019 cost of service study has not yet been filed;

1 therefore, the Company is continuing to use rates set in the 2018 cost of
2 service study.

3 **Q. HOW ARE DSM-RELATED COSTS ALLOCATED TO NORTH**
4 **CAROLINA?**

5 A. Any program costs that are identified as being DSM-related, including A&G
6 costs, are allocated to the North Carolina retail jurisdiction based upon the
7 ratio of the North Carolina retail demand to the DEP system retail demand at
8 the hour of the annual summer system peak. For calendar year test periods
9 beginning in year 2016, the allocation percentage for the entire calendar year
10 test period is based on the latest cost of service study available at the time of
11 filing. Again, please note that the 2019 cost of service study has not yet been
12 filed; therefore, the Company is continuing to use rates set in the 2018 cost of
13 service study.

14 **Q. PLEASE ELABORATE ON THE METHODOLOGY USED TO**
15 **ALLOCATE DSM/EE COSTS THAT OFFER A SYSTEM BENEFIT.**

16 A. Certain A&G costs provide a system benefit in support of both DSM and EE
17 programs and, therefore, are allocated in both categories. The allocation of
18 these costs into either the DSM or EE category is based upon the percentage
19 of program costs for each type of expenditure anticipated during the next
20 forecast calendar year. For example, if 30% of direct program costs in the
21 forecast period are EE-related, then 30% of these A&G costs will be
22 considered EE-related costs for allocation purposes. The use of a forecast
23 period recognizes the types of new programs DEP will offer in the immediate

1 future that will be supported by these administrative costs. The assignment of
2 A&G costs as either DSM- or EE-related is reviewed annually based upon
3 forecasted program costs for the next calendar year. The A&G costs in this
4 proceeding have been assigned to these categories based upon forecasted
5 DSM and EE costs for 2020.

6 **Q. IN MILLER EXHIBIT 2, PAGE 3, AND MILLER EXHIBIT 2, PAGE 6,**
7 **THE DSDR PROGRAM IS SEPARATED FROM THE OTHER**
8 **DSM/EE PROGRAMS. HOW IS THE DSDR PROGRAM**
9 **CLASSIFIED?**

10 A. The DSDR program has been classified by the Commission, for purposes of
11 ratemaking, as an EE program. Due to the scope and nature of DSDR, its
12 costs are being tracked separately. This separate tracking includes both direct
13 costs and A&G costs associated with the program.

14 **VI. PORTFOLIO PERFORMANCE INCENTIVE AND**
15 **NET LOST REVENUES**

16 **Q. HOW IS THE PPI CALCULATED?**

17 A. The PPI is calculated pursuant to the Order Approving Revised Mechanism
18 and is based on the savings achieved by the portfolio of PPI-eligible DSM/EE
19 programs. Under the terms of the Order Approving Revised Mechanism, the
20 amount of PPI to be recovered during the rate period is 11.75 percent of the
21 net benefits produced by the portfolio of PPI-eligible programs. Estimated net
22 savings for all periods are determined by multiplying the number of
23 measurement units projected to be installed for a specific program or measure
24 in a vintage year by the most current estimate of the annual per installation

1 kilowatt (“kW”) and kilowatt-hour (“kWh”) savings over the measurement
2 unit’s life and by the annual kW and kWh avoided costs. DEP then subtracts
3 the estimated utility costs over the measurement unit’s life related to the
4 projected installations in that vintage year and discounts the result to
5 determine a net present value.

6 The PPI for each program vintage is converted into a stream of up to
7 ten levelized annual payments. DEP’s overall weighted average net-of-tax
8 rate of return approved in DEP’s most recent general rate case is used as the
9 appropriate discount rate. Pursuant to the Order Approving Revised
10 Mechanism, PPI recoveries are subject to true-up on the basis of future
11 EM&V results. PPI calculations are based on calendar year vintages. The
12 PPI vintage assigned to the test period in this filing encompasses calendar year
13 2018. These values will be trued-up on the basis of future EM&V results.
14 The estimated PPI for the rate period used in this filing is based on calendar
15 year 2020 and will be trued-up as a part of DEP’s 2021 DSM/EE cost
16 recovery proceeding. Please see Evans Exhibit 1 for additional detail by
17 program.

18 **Q. HOW WERE NET LOST REVENUES DETERMINED?**

19 A. The Company determines net lost revenues, which are applicable to both
20 DSM and EE programs, by multiplying the estimated reduction in kWh sales
21 associated with a program or measure by a margin-based net lost revenue rate.

22 The following formula illustrates the basic components of the net lost revenue

1 calculations: Net Lost Revenues (\$) = Lost Sales (kWh) x Net Lost Revenue
2 Rate (\$/kWh).

3 Lost Sales are those sales that do not occur as a result of
4 implementation of DEP DSM/EE measures. These values are initially based
5 on engineering estimates and/or past impact evaluations. Future periods are
6 based on updated impact evaluations resulting from EM&V activities and are
7 applied prospectively and in conjunction with applicable net lost revenue true-
8 ups. The Net Lost Revenue rate represents the difference between the average
9 retail rate applicable to the customer class impacted by the measure and the
10 sum of (1) the embedded regulatory fees, (2) the related average customer
11 charge component of that rate, (3) the average fuel component of the rate, and
12 (4) the incremental variable operations and maintenance (O&M) rate as filed
13 in DEP's last Cogeneration and Small Power Producer tariff. When multiple
14 customer classes are impacted by a DSM/EE measure, as with the DSDR
15 program, a weighted or system-wide net lost revenue rate is employed.

16 Pursuant to the Order Approving Revised Mechanism, DEP may only
17 recover net lost revenues for up to 36 months of an installed measure's life,
18 and as with the PPI, recoveries are subject to true-up on the basis of future
19 EM&V results.

20 In addition, in the Commission's *Order Addressing the Impacts of the*
21 *Federal Tax Cuts and Jobs Act on Public Utilities* (Docket M-100 Sub 148)
22 issued on October 5, 2018, the Commission directed the Company to maintain
23 all of its federal excess deferred income taxes resulting from the passage of

1 the federal Tax Cuts and Jobs Act in a regulatory liability account pending
2 flow back of that liability to DEP's ratepayers with interest. The Company is
3 to file its proposal to flow back the excess deferred taxes by October 5, 2021
4 or in DEP's next general rate case proceeding, whichever is sooner. In DEP's
5 *Petition for an Accounting Order to Defer Incremental Hurricanes Florence*
6 *and Michael and Winter Storm Diego Storm Damage Expenses*, filed on
7 December 21, 2018 in Docket No. E-2, Sub 1193, the Company indicated that
8 it plans to file a general rate case in 2019. In accordance with the
9 Commission's Docket M-100 Sub 148 Order, it is expected that the
10 Commission will resolve the appropriate method to flow back excess deferred
11 taxes in the next general rate case. New rates from the Company's 2019 rate
12 case would likely be implemented in 2020 and would likely reflect a
13 resolution of the flow back of excess deferred taxes. For purposes of this
14 DSM/EE proceeding only, the Company has included a reduction of \$5
15 million to Year 2020 lost revenues collected from Vintage 2017, Vintage
16 2018, Vintage 2019, and Vintage 2020. This will be trued up to the actual
17 impact on the lost revenue rate in the next DSM/EE rider filing after an order
18 is issued in DEP's upcoming base rate case. This \$5 million reduction is
19 meant to serve as a placeholder to mitigate potential overcollection with
20 respect to the Company's DSM/EE rider and does not reflect any particular
21 position by DEP on the appropriate methodology or timeframe for the flow
22 back of excess deferred taxes or any other tax issues or proposals that may be
23 raised in the Company's next general rate case.

VII. COST ALLOCATION METHODOLOGY

Q. HOW ARE DSM- AND EE-RELATED COSTS ALLOCATED TO EACH RATE CLASS?

A. Costs are assigned to customer classes based on program design and participation. In other words, residential program costs are allocated solely to residential customers, general service program costs are allocated solely to general service customers, and lighting program costs are allocated solely to lighting customers. Where programs benefit multiple customer groups, the costs are allocated directly to groups receiving benefits or by employing annual energy- and/or coincident peak demand-based allocation factors.

Miller Exhibit 2, pages 1 and 2, and Miller Exhibit 2, pages 4 and 5, demonstrate how the costs associated with a specific program have been assigned to customer groups.

Q. HOW ARE SALES AND DEMAND ADJUSTED FOR THE IMPACT OF OPT-OUT CUSTOMERS?

A. Commercial customers with annual consumption of 1,000,000 kWh or greater in the billing months of the prior calendar year and all industrial customers who implement or will implement alternative DSM/EE measures may elect not to participate in DEP's DSM and/or EE programs. DEP reviewed its customer records and identified that commercial and industrial customers choosing to opt out of EE programs consumed 11,748,716,255 kWh during the year ended December 31, 2018. In addition, DEP identified that

1 commercial and industrial customers choosing to opt out of DSM programs
2 consumed 11,850,797,144 kWh during the year ended December 31, 2018.

3 DEP developed rate class allocation factors based on the assumption
4 that customers that have elected to opt out of the Company's DSM/EE rider
5 will remain opted out. If customers decide to change their opt-out status,
6 revenue gains or losses will be recognized in subsequent DSM/EE EMF
7 calculations.

8 Sales for the year ended December 31, 2018 for all customers electing
9 to opt out of the DSM/EE rate are provided in Miller Exhibit 6.

10 **Q. THE SALES FOR OPT-OUT CUSTOMERS ARE EASILY**
11 **IDENTIFIED, BUT HOW IS THE COINCIDENT PEAK OF THESE**
12 **CUSTOMERS ESTIMATED?**

13 A. Currently installed metering for a great number of opt-out customers does not
14 provide sufficient detail to determine their contribution to the system
15 coincident peak hour load. Instead, the impact is estimated based upon the
16 ratio of opt-out sales to total sales for the rate class multiplied by the rate class
17 peak demand. This approach should accurately approximate the demand of
18 opt-out accounts. This calculation can be seen at Miller Exhibit 5, page 6.

19 **Q. AFTER ADJUSTING ENERGY AND DEMAND FOR OPT-OUT**
20 **CUSTOMERS, HOW ARE THE RESULTING ALLOCATION**
21 **FACTORS THEN USED TO DETERMINE THE REVENUE**
22 **REQUIREMENT FOR EACH RATE CLASS?**

1 A. Energy- and demand-based allocators are used in cases where programs or
2 measures directly benefit multiple rate groups. When a DSM or EE program
3 benefits multiple rate groups, DEP multiplies EE costs by rate class energy
4 allocation factors and multiplies any associated DSM costs by rate class
5 demand allocation factors for purposes of cost assignment.

6 Since usage for opt-out customers is not forecasted, the rate class
7 energy allocation factors were developed from the forecasted rate class usage
8 after subtracting actual sales for opt-out customers for the year ended
9 December 31, 2018. Miller Exhibit 5, page 5, provides the energy allocation
10 factors applicable to each rate class based upon the forecast of rate class sales
11 for the rate period of January 1, 2020 through December 31, 2020.

12 The allocation rate class demand allocation factors are based on the
13 summer coincident peak demand for 2017 after subtracting the estimated
14 demand for opt-out customers as discussed above. The forecast does not
15 provide rate class coincident peak demands; therefore, the most recent historic
16 data was deemed to be representative of future demand impacts. Miller
17 Exhibit 5, page 6, shows the demand allocation factors applicable to each rate
18 class for the rate period.

19 **Q. WHICH OF DEP'S PROGRAMS OR MEASURES BENEFIT**
20 **MULTIPLE CUSTOMER CLASSES?**

21 A. The Company's DSDR program benefits all customer classes. To allocate
22 DSDR costs, DEP employs rate class energy allocation factors. These
23 allocation procedures are elements of Miller Exhibit 2, pages 1 and 4. In

1 addition, DEP's Energy Efficient Lighting Program provides benefits to both
2 the residential and general service customer classes. These costs were
3 allocated based on the bulbs provided to those classes using EM&V results as
4 shown in Miller Exhibit 5, page 7.

5 **Q. HOW DOES DEP DETERMINE RATE CLASS DSM/EE RATES?**

6 A. The calculated rate class DSM and EE revenue requirements are divided by
7 forecasted rate class sales, after adjustment for opt-out customers, to establish
8 the rate class DSM/EE rate. Miller Exhibit 2, page 1, provides the derivation
9 of the EE rate. Miller Exhibit 2, page 2, provides the derivation of the DSM
10 rate.

11 **Q. HOW DOES DEP DETERMINE RATES FOR THE DSM/EE EMF?**

12 A. As with DSM/EE rate determination, the calculated rate class DSM and EE
13 EMF revenue requirements, adjusted for cost recoveries, are divided by
14 forecasted rate class sales, after adjustment for opt-out customers, to establish
15 the rate class DSM/EE EMF rate. Miller Exhibit 2, page 4, provides the
16 derivation of the EE EMF rate. Miller Exhibit 2, page 5, provides the
17 derivation of the DSM EMF rate.

18 **VIII. PROPOSED RATES**

19 **Q. WHAT RATES ARE PROPOSED FOR EACH RATE CLASS?**

20 A. Miller Exhibit 1 is populated with the DSM/EE rates and EMF rates proposed
21 in this proceeding. The DSM/EE rates recover costs forecasted to be incurred
22 from January 1, 2020 through December 31, 2020. The DSM/EE EMF is a
23 true-up mechanism recognizing costs and recoveries for the test period of

1 January 1, 2018 through December 31, 2018. DEP proposes the following
 2 rates, exclusive of North Carolina regulatory fees, for each rate class:

Rate Class	DSM Rate (¢/kWh)	EE Rate (¢/kWh)	DSM EMF (¢/kWh)	EE EMF Rate (¢/kWh)	DSM/EE Annual Rider (¢/kWh)
Residential	0.120	0.503	0.000	(0.029)	0.594
General Service EE		0.634		0.150	0.784
General Service DSM	0.070		(0.011)		0.059
Lighting		0.096		(0.002)	0.094

3 **Q. WHAT ARE THE RATES INCLUDING NORTH CAROLINA**
 4 **REGULATORY FEES?**

5 A. The following table reflects the proposed billing rates, including North
 6 Carolina regulatory fees, for each rate class:

Rate Class	DSM Rate (¢/kWh)	EE Rate (¢/kWh)	DSM EMF (¢/kWh)	EE EMF (¢/kWh)	Annual DSM/EE Rider (¢/kWh)
Residential	0.120	0.504	0.000	(0.029)	0.595
General Service EE		0.635		0.150	0.785
General Service DSM	0.070		(0.011)		0.059
Lighting		0.096		(0.002)	0.094

7 **Q. HOW WILL DEP REVISE ITS TARIFFS TO RECOVER THESE**
 8 **RATES?**

9 A. The Company will update its Annual Billing Adjustment, Rider BA, to
 10 recognize these rates, adjusted for the North Carolina regulatory fees.

11

1

IX. CONCLUSION

2

Q. DOES THIS CONCLUDE YOUR PRE-FILED DIRECT TESTIMONY?

3

A. Yes.

BEFORE THE NORTH CAROLINA UTILITIES COMMISSION

DOCKET NO. E-2, SUB 1206

In the Matter of)	
Application of Duke Energy Progress, LLC)	SUPPLEMENTAL TESTIMONY
for Approval of Demand-Side Management)	OF
and Energy Efficiency Cost Recovery Rider)	CAROLYN T. MILLER FOR
Pursuant to N.C. Gen. Stat. § 62-133.9 and)	DUKE ENERGY PROGRESS,
Commission Rule R8-69)	LLC

1 **Q. PLEASE STATE YOUR NAME AND BUSINESS ADDRESS.**

2 A. My name is Carolyn T. Miller. My business address is 550 South Tryon Street,
3 Charlotte, North Carolina.

4 **Q. BY WHOM ARE YOU EMPLOYED AND IN WHAT CAPACITY?**

5 A. I am a Rates & Regulatory Strategy Manager for Duke Energy Carolinas, LLC
6 (“DEC”), supporting both DEC and Duke Energy Progress, LLC (“DEP” or the
7 “Company”).

8 **Q. DID YOU PREVIOUSLY FILE DIRECT TESTIMONY IN SUPPORT**
9 **OF DEP’S APPLICATION IN THIS DOCKET?**

10 A. Yes.

11 **Q. WHAT IS THE PURPOSE OF YOUR SUPPLEMENTAL TESTIMONY?**

12 A. The purpose of my Supplemental Testimony is to support the filing of
13 Supplemental Exhibits which reflect revisions to Miller Exhibits 1, 2 and 3 and
14 Evans Exhibit 1 filed June 11, 2019 in this proceeding. These revisions are due
15 to the following:

16 1. Adjustments to the Portfolio Performance Incentive (“PPI”)
17 generated by the EnergyWise and EnergyWise for Business programs for
18 Vintage 2017, Vintage 2018 and Vintage 2020, and the resulting reallocation
19 of the Vintage 2018 avoided cost settlement;

20 2. Adjustments to DSDR program costs due to intangible depreciation
21 expense recorded in excess of the useful life of the related assets.

22 **Q. WHY IS THE COMPANY REVISING THE PPI GENERATED BY THE**
23 **ENERGYWISE AND ENERGYWISE FOR BUSINESS PROGRAMS**

FOR VINTAGE 2017, VINTAGE 2018 AND VINTAGE 2020?

A. As mentioned in the Testimony of Public Staff Witness Michael C. Maness (*see* p. 12), the Company is recommending an adjustment related to Evaluation, Measurement, & Verification (“EM&V”) results. During the course of the Company’s review of its DSM/EE filing in this docket, DEP discovered that, although the EM&V results received in 2018 for the EnergyWise program had been appropriately applied prospectively, beginning balance participation levels were not correct, thereby misstating all participation levels. In addition, the Company also discovered that the EnergyWise for Business program included an error in the avoided cost calculation. As a result of these two errors, the Company is updating Vintages 2017 and Vintage 2018 to reflect the revised kilowatt (“kW”) savings included in both the EnergyWise and EnergyWise for Business EM&V reports.

In Docket No. E-2, Sub 1145, filed in 2017, the Public Staff and DEC agreed to reduce the avoided cost savings included in rates by \$2,100,000 and both parties settled on a methodology to allocate that reduction among customer classes for Vintage 2018. The \$2.1 million was allocated based on a weighted-average PPI basis, so the adjustment to kW savings attributed to the EnergyWise and EnergyWise for Business programs, discussed above, impacted the allocation of that \$2.1 million among customers classes. In this supplemental filing the Company has re-allocated the \$2.1 million reduction in Vintage 2018 avoided costs to reflect the updated kW savings attributed to the EnergyWise and EnergyWise for Business programs. The change in PPI for

1 these vintages also impacted the future amortization of PPI; therefore, Vintage
2 2020 was also updated to reflect the revised amortization amounts. The total of
3 these adjustments results in:

- 4 • a reduction in PPI for residential customers in the amount of
5 (\$84,065) for Vintage Year 2017
- 6 • a reduction in PPI for non-residential DSM customers in the
7 amount of (\$177,930) for Vintage 2018
- 8 • an increase in PPI for non-residential EE customers in the
9 amount of \$62,331 for Vintage 2018
- 10 • an increase in PPI for residential customers in the amount of
11 \$95,482 for Vintage 2018
- 12 • a reduction in PPI for non-residential DSM customers in the
13 amount of (\$31,049) for Vintage 2020
- 14 • an increase in PPI for non-residential EE customers in the
15 amount of \$62,331 for Vintage 2020
- 16 • and an increase in PPI for residential customers in the amount
17 of \$6,450 for Vintage 2020.

18 The Company is submitting Supplemental Evans Exhibit 1, pages 3 through 8
19 and the corresponding interest calculation on Supplemental Miller Exhibit 3,
20 pages 1 through 3 to reflect this adjustment.

21 **Q. PLEASE DESCRIBE THE ADJUSTMENT TO DSDR DEPRECIATION**
22 **EXPENSE.**

23 A. As mentioned in Witness Maness' testimony (*see* p. 12), the Company is

1 recommending an adjustment to the intangible depreciation expense recognized
2 as part of DSDR program costs. The Company discovered that the calculation
3 of depreciation expense for DSDR intangible assets utilized formulas that
4 multiply gross plant balances times the most recently approved depreciation
5 rates. However, these DSDR intangible assets have a useful life of only 5 years
6 and the calculation continued to include gross plant that had been fully
7 depreciated into the calculation of DSDR depreciation expense. The first
8 DSDR intangible plant assets were placed in service in 2010; therefore, DSDR
9 depreciation expense was overstated beginning with test period 2015. The
10 Company has recalculated the appropriate depreciation expense for Vintage
11 Years 2015, 2016, 2017, 2018 and 2020¹. DEP has also recalculated all other
12 impacted expense items, including insurance expense, return on capital and
13 carrying costs. The revised expense amounts for Vintage 2018 are reflected
14 on Supplemental Miller Exhibit 2, page 6. The revised expense amounts for
15 Vintage 2020 are reflected on Supplemental Miller Exhibit 2, page 3. The
16 adjustments for all prior periods are reflected on Supplemental Miller Exhibit
17 2, page 7.

18 Partially offsetting this adjustment is the amount of EE Rider revenue
19 that was removed from the 2017 test period of the most recent rate case. The
20 Company has recalculated the EE-related proforma adjustment included with
21 that rate case filing to revise DSDR-related collections to reflect the adjusted

¹ Vintage 2019 will be trued up as part of the 2019 test period filed in 2020 using the same methodology as used to calculate the impact on Vintage 2015, 2016, 2017, 2018 and 2020.

depreciation expense as well as the offsetting change in rate base. The adjustment impacts rates in effect from March 18, 2018 forward. This adjustment is reflected for Vintage 2018 on Supplemental Miller Exhibit 2, page 6 Line 35 in the amount of \$432,382 and for Vintage 2020 on Supplemental Miller Exhibit 2, page 3 Line 37 in the amount of \$494,150.

The final adjustment the Company made as a result of the revisions to DSDR depreciation expense was to recalculate the interest due to customers. All interest related to prior period adjustments flows through the current vintage; therefore, this adjustment is shown for Vintage 2018 on Supplemental Miller Exhibit 3, pages 1, 2 and 4.

The following table summarizes the dollar impact of the DSDR program updates for each vintage for each class of customer.

	Residential	Non-Residential	Lighting
<u>2015 DSDR</u>	\$(541,569)	\$(361,733)	\$(13,423)
<u>2016 DSDR</u>	(508,073)	(328,056)	(12,002)
<u>2017 DSDR</u>	(980,245)	(613,595)	(22,498)
<u>2018</u>			
DSDR	(2,512,501)	(1,515,367)	(56,504)
Proforma Adj	265,979	160,420	5,982
Interest	(640,964.)	(275,063.)	(14,725.)
<u>2020</u>			
DSDR	(2,310,065)	(1,393,272)	(51,952)

Proforma Adj	303,976	183,338	6,836
--------------	---------	---------	-------

1

2 **Q. HOW DO THESE CHANGES IMPACT DEP'S REQUESTED RATES?**

3 A. The changes outlined above result in revisions to the following rates included
 4 in the initial DSM/EE filing (all shown on a cents per kWh basis, including
 5 regulatory fee):

Description	Filed Rate	Revised Rate
Residential Prospective Rate	0.624	0.612
Residential EMF Rate	(0.029)	(0.058)
Non-Residential EE Prospective Rate	0.635	0.623
Non-Residential EE EMF Rate	0.150	0.120
Non-Residential DSM Prospective Rate	0.070	0.070
Non-Residential DSM EMF Rate	(0.011)	(0.013)
Lighting EE Prospective Rate	0.096	0.084
Lighting EE EMF rate	(0.002)	(0.033)

6 **Q. WHAT SUPPLEMENTAL EXHIBITS WILL BE FILED IN**
 7 **CONJUNCTION WITH YOUR SUPPLEMENTAL TESTIMONY?**

8 A. Only the exhibits impacted as a result of the changes outlined above will be
 9 filed as Supplemental Exhibits. A description of the specific pages and contents
 10 that have been revised is provided below:

- 11 • Supplemental Miller Exhibit 1: Summary of Rider EE Exhibits
 12 and Factors

- 1 • Supplemental Miller Exhibit 2, page 1: Energy Efficiency Rate
- 2 Derivation
- 3 • Supplemental Miller Exhibit 2, page 2: Demand-Side
- 4 Management Rate Derivation
- 5 • Supplemental Miller Exhibit 2, page 3: Rate Period Revenue
- 6 Requirement Summary
- 7 • Supplemental Miller Exhibit 2, page 4: Energy Efficiency
- 8 Experience Modification Factor Rate Derivation
- 9 • Supplemental Miller Exhibit 2, page 5: Demand-Side
- 10 Management Experience Modification Factor Rate Derivation
- 11 • Supplemental Miller Exhibit 2, page 6: EMF Period Revenue
- 12 Requirement Summary
- 13 • Supplemental Miller Exhibit 2, page 7: EMF Adjustment
- 14 Summary
- 15 • Supplemental Miller Exhibit 3, page 1: Vintage 2018 Interest
- 16 Calculations for Residential
- 17 • Supplemental Miller Exhibit 3, page 2: Vintage 2018 Interest
- 18 Calculations for Non-Residential DSM
- 19 • Supplemental Miller Exhibit 3, page 3: Vintage 2018 Interest
- 20 Calculations for Lighting
- 21 • Supplemental Miller Exhibit 3, page 4: Vintage 2018 Interest
- 22 Calculation
- 23 • Supplemental Evans Exhibit 1, pages 3 through 8: Vintage

1 2017, Vintage 2018 and Vintage 2020 Load Impacts and
 2 Estimated Revenue Requirements

3 **Q. WHAT ARE THE FINAL RATES REQUESTED IN THE**
 4 **APPLICATION OF DEP FOR APPROVAL OF ITS DSM/EE RIDER**
 5 **FOR 2020 AS A RESULT OF THESE REVISIONS?**

6 A. Pursuant to the provisions of N.C. Gen. Stat. § 62-133.9 and Commission Rule
 7 R8-69, the Company requests Commission approval of the following annual
 8 billing adjustments (all shown on a cents per kWh basis, including regulatory
 9 fee):

10

Residential Billing Factors	¢/kWh
Residential Billing Factor for Prospective Components	0.612
Residential Billing Factor for EMF Components	(0.058)

Non-Residential Billing Factors	¢/kWh
EE EMF Rate	0.120
EE Prospective Rate	0.623
DSM EMF Rate	(0.013)
DSM Prospective Rate	0.070
Lighting EE EMF Rate	(0.033)
Lighting EE Prospective Rate	0.084

11 **Q.**

12 **ARE THERE ANY OTHER ADJUSTMENTS MADE IN YOUR**

13 **SUPPLEMENTAL EXHIBITS?**

1 A. No.

2 **Q. DOES THIS CONCLUDE YOUR PRE-FILED SUPPLEMENTAL**
3 **TESTIMONY?**

4 A. Yes.

OFFICIAL COPY

Sep 27 2019

1 MS. FENTRESS: And we would call Mr. Evans
2 to the stand.

3 ROBERT P. EVANS;
4 having been duly sworn,
5 testified as follows:

6 DIRECT EXAMINATION BY MS. FENTRESS:

7 Q Mr. Evans, would you please state your full name
8 and business address for the record?

9 A My name is Robert P. Evans. My business address
10 is 410 South --

11 COMMISSIONER BROWN-BLAND: Mr. Evans, please
12 pull the mic close.

13 THE WITNESS: I always seem to have that
14 problem, Commissioner. I apologize.

15 COMMISSIONER BROWN-BLAND: All right.

16 A My name is Robert P. Evans. My business address
17 is 410 South Wilmington Street in Raleigh, North
18 Carolina.

19 Q Mr. Evans, what is your position with Duke
20 Energy?

21 A I'm Senior Manager of Collaboration and Strategy
22 for the Carolinas in our Market Solutions Group.

23 Q And in that position what is your responsibility
24 -- what are your responsibilities? Sorry.

1 A My responsibilities are to provide regulatory
2 assistance for our Demand-Side Management and
3 Energy Efficiency activities in the State of
4 North Carolina.

5 Q Thank you, Mr. Evans. And did you cause to be
6 prefiled in this case on June 11th, 2019, direct
7 testimony of approximately 34 pages and Exhibits
8 1 through 11 and Exhibits A through I?

9 A Yes, I did.

10 Q And did you supplemental -- did you also cause to
11 be prefiled in this case Supplemental Evans
12 Exhibit 1 on September 4th, 2019?

13 A Yes, I did.

14 Q And did you also to be prefiled in this case
15 rebuttal testimony on August 28th, 2019 of
16 approximately nine pages?

17 A Yes, I did.

18 Q Do you have any changes or corrections to your
19 prefiled direct testimony?

20 A Yes, I do. On page 25, the first answering
21 paragraph, line 5, the value 414 million it says
22 over 414 million should be replaced by almost 376
23 million. On the next line, line 6, we have a
24 number there 404 MW. Instead of over 404 MW, it

1 should read almost 402 MW. And the last
2 correction would be on line 8 and that is close
3 to \$252 million -- excuse me -- \$249 million that
4 should be replaced by \$252 million.

5 Q Thank you. Do you have any changes or
6 corrections to your prefiled rebuttal testimony?

7 A No, I do not.

8 Q And with those changes to your direct -- prefiled
9 direct testimony, if I were to ask you the same
10 questions as written in your prefiled direct
11 testimony today from the stand, would your
12 answers be the same?

13 A Yes, they would be.

14 Q And if I were to ask you the same questions as
15 written in your prefiled rebuttal testimony today
16 from the stand, would your answers be the same?

17 A Yes, they would be.

18 MS. FENTRESS: Madam Chair, at this time I
19 would ask that Mr. Evans' prefiled direct testimony
20 and exhibits, rebuttal testimony, and Supplemental
21 Exhibit 1 be entered into the record as if given
22 orally from the stand.

23 COMMISSIONER BROWN-BLAND: Without
24 objection, that motion will be allowed and the -- the

1 exhibits that were prefiled with his testimony will be
2 marked as they were identified -- or identified as
3 they were marked when prefiled.

4 MS. FENTRESS: Thank you.

5 (WHEREUPON, Evans Exhibits 1 - 9A,
6 9B, 9C, 10 and 11, Evans Exhibits
7 A - I, and Supplemental Evans
8 Exhibit 1 are marked for
9 identification as prefiled and
10 received into evidence.)

11 (WHEREUPON, the prefiled direct
12 and rebuttal testimony of ROBERT
13 P. EVANS is copied into the record
14 as if given orally from the
15 stand.)
16
17
18
19
20
21
22
23
24

BEFORE THE NORTH CAROLINA UTILITIES COMMISSION

DOCKET NO. E-2, SUB 1206

In the Matter of)
Application of Duke Energy Progress, LLC)
for Approval of Demand-Side Management)
and Energy Efficiency Cost Recovery Rider)
Pursuant to N.C. Gen. Stat. § 62-133.9 and)
Commission Rule R8-69)

DIRECT TESTIMONY OF
ROBERT P. EVANS
FOR
DUKE ENERGY PROGRESS, LLC

OFFICIAL COPY

Sep 27 2019

I. INTRODUCTION AND PURPOSE

1 **Q. PLEASE STATE YOUR NAME, BUSINESS ADDRESS, AND**
2 **POSITION WITH DUKE ENERGY.**

3 A. My name is Robert P. Evans, and my business address is 410 S. Wilmington
4 Street, Raleigh, North Carolina. I am employed by Duke Energy Corporation
5 (“Duke Energy”) as Senior Manager-Strategy and Collaboration for the
6 Carolinas in the Market Solutions Regulatory Strategy and Evaluation group.

7 **Q. PLEASE BRIEFLY STATE YOUR EDUCATIONAL BACKGROUND**
8 **AND EXPERIENCE.**

9 A. I graduated from Iowa State University (“ISU”) in 1978 with a Bachelor of
10 Science Degree in Industrial Administration and a minor in Industrial
11 Engineering. As a part of my undergraduate work, I participated in graduate
12 level regulatory studies programs sponsored by American Telephone and
13 Telegraph Corporation, as well as graduate level study programs in Engineering
14 Economics. Subsequent to my graduation from ISU, I received additional
15 Engineering Economics training at the Colorado School of Mines, completed
16 the National Association of Regulatory Utility Commissioners Regulatory
17 Studies program at Michigan State, and completed the Advanced American Gas
18 Association Ratemaking program at the University of Maryland. Upon
19 graduation from ISU, I joined the Iowa State Commerce Commission (now
20 known as the Iowa Utility Board (“IUB”)) in the Rates and Tariffs Section of
21 the Utilities Division. During my tenure with the IUB, I held several positions,
22 including Senior Rate Analyst in charge of Utility Rates and Tariffs and

1 Assistant Director of the Utility Division. In those positions, I provided
2 testimony in gas, electric, water, and telecommunications proceedings as an
3 expert witness in the areas of rate design, service rules, and tariff applications.
4 In 1982, I accepted employment with City Utilities of Springfield, Missouri, as
5 an Operations Analyst. In that capacity, I provided support for rate-related
6 matters associated with the municipal utility's gas, electric, water, and sewer
7 operations. In addition, I worked closely with its load management and energy
8 conservation programs. In 1983, I joined the Rate Services staff of the Iowa
9 Power and Light Company, now known as MidAmerican Energy, as a Rate
10 Engineer. In this position, I was responsible for the preparation of rate-related
11 filings and presented testimony on rate design, service rules, and accounting
12 issues before the IUB. In 1986, I accepted employment with Tennessee-
13 Virginia Energy Corporation (now known as the United Cities Division of
14 Atmos Energy) as Director of Rates and Regulatory Affairs. While in this
15 position, I was responsible for regulatory filings, regulatory relations, and
16 customer billing. In 1987, I went to work for the Virginia State Corporation
17 Commission in the Division of Energy Regulation as a Utilities Specialist. In
18 this capacity, I worked on electric and natural gas issues and provided testimony
19 on cost of service and rate design matters brought before that regulatory body.
20 In 1988, I joined North Carolina Natural Gas Corporation ("NCNG") as its
21 Manager of Rates and Budgets. Subsequently, I was promoted to Director-
22 Statistical Services in NCNG's Planning and Regulatory Compliance
23 Department. In that position, I performed a variety of work associated with

1 financial, regulatory, and statistical analysis and presented testimony on several
2 issues brought before the North Carolina Utilities Commission
3 (“Commission”). I held that position until the closing of NCNG’s merger with
4 Carolina Power and Light Company, the predecessor of Progress Energy, Inc.
5 (“Progress”), on July 15, 1999.

6 From July 1999 through January 2008, I was employed in Principal and
7 Senior Analyst roles by the Progress Energy Service Company, LLC. In these
8 roles, I provided NCNG, Progress Energy Carolinas, Inc. (now Duke Energy
9 Progress, LLC (“DEP” or the “Company”)), and Progress Energy Florida, Inc.
10 with rate and regulatory support in their state and federal venues. From 2008
11 through the merger of Duke Energy and Progress, I provided regulatory support
12 for demand-side management (“DSM”) and energy efficiency (“EE”)
13 programs. Subsequent to the Progress merger with Duke Energy, I obtained
14 my current position.

15 **Q. HAVE YOU PREVIOUSLY PROVIDED TESTIMONY IN MATTERS**
16 **BROUGHT BEFORE THIS COMMISSION?**

17 A. Yes. I have provided testimony to this Commission in matters concerning
18 revenue requirements, avoided costs, cost of service, rate design, and the
19 recovery of costs associated with DSM/EE programs and related accounting
20 matters.

21 **Q. WHAT ARE YOUR CURRENT RESPONSIBILITIES?**

22 A. I am responsible for the regulatory support of DSM/EE programs in North
23 Carolina for both DEP and Duke Energy Carolinas, LLC (“DEC”).

1 **Q. WHAT IS THE PURPOSE OF YOUR TESTIMONY IN THIS**
2 **PROCEEDING?**

3 A. The purpose of my testimony is to explain and support DEP's proposed
4 DSM/EE Cost Recovery Rider and Experience Modification Factor ("EMF").
5 My testimony provides: (1) a discussion of items the Commission specifically
6 directed the Company to address in this proceeding; (2) an overview of the
7 Commission's Rule R8-69 filing requirements; (3) a synopsis of the DSM/EE
8 programs included in this filing; (4) a discussion of program results; (5) an
9 explanation of how these results have affected DSM/EE rate calculations; (6)
10 information on DEP's Evaluation Measurement & Verification ("EM&V")
11 activities; and (7) an overview of the calculation of the Portfolio Performance
12 Incentive ("PPI").

13 **Q. PLEASE DESCRIBE THE EXHIBITS ATTACHED TO YOUR**
14 **TESTIMONY.**

15 A. Evans Exhibit 1 supplies load impacts, program costs, and avoided costs for
16 each program, which are used in the calculation of the PPI and revenue
17 requirements by vintage. Evans Exhibit 2 contains a summary of net lost
18 revenues for the period January 1, 2015 through December 31, 2018. Evans
19 Exhibit 3 contains the actual program costs for North Carolina for the period
20 January 1, 2015 through December 31, 2018. Evans Exhibit 4 contains the
21 found revenues used in the net lost revenues calculations. Evans Exhibit 5
22 supplies evaluations of event-based programs. Evans Exhibit 6 contains
23 information about the results of DEP's programs and a comparison of actual

1 impacts to previous estimates. Evans Exhibit 7 contains the projected program
2 and portfolio cost-effectiveness results for DEP's approved programs. Evans
3 Exhibit 8 contains a summary of 2018 program performance and an explanation
4 of the variances between the expected program results and the actual results.
5 Evans Exhibit 8 is designed to create more transparency regarding the factors
6 that have driven these variances. Evans Exhibit 9 lists DEP's industrial and
7 large commercial customers that have opted out of participation in the
8 Company's DSM and/or EE programs and also lists those customers that have
9 elected to participate in new measures after having initially notified the
10 Company that they declined to participate, as required by Commission Rule R8-
11 69(d)(2). Evans Exhibit 10 provides a summary of the estimated activities and
12 timeframe for completion of EM&V by program. Evans Exhibit 11 provides
13 the actual and expected dates when the EM&V for each program or measure
14 will become effective.

15 Evans Exhibits A through I provide detailed EM&V reports, completed
16 or updated since DEP's DSM/EE Cost Recovery Rider Filing in Docket No. E-
17 2, Sub 1174, for the following programs: Demand Response Automation – 2017
18 (Evans Exhibit A); Residential New Construction – 2015 & 2016 (Evans
19 Exhibit B); EnergyWise Home Demand Response Program – Winter - 2017 &
20 2018 (Evans Exhibit C); Small Business Energy Saver Program – 2016 (Evans
21 Exhibit D); Residential Energy Assessment Program – 2016 & 2017 (Evans
22 Exhibit E); EnergyWise for Business Program – 2017 (Evans Exhibit F);
23 Nonresidential Smart \$aver EE Products & Assessment (Custom) – 2016 &

1 2017 (Evans Exhibit G); EnergyWise Home Demand Response Program –
2 Summer 2018 (Evans Exhibit H); and Energy Efficiency in Education – 2017
3 & 2018 (Evans Exhibit I).

4 **Q. WERE EVANS EXHIBITS 1-11 PREPARED BY YOU OR AT YOUR**
5 **DIRECTION AND SUPERVISION?**

6 A. Yes, they were.

7 **II. ACTIONS ORDERED BY THE COMMISSION**

8 **Q. PLEASE DESCRIBE THE ACTIONS THE COMMISSION DIRECTED**
9 **DEP TO TAKE IN THE COMMISSION’S ORDER IN DOCKET NO. E-**
10 **2, SUB 1174.**

11 A. In its November 29, 2018 *Order Approving DSM/EE Rider and Requiring*
12 *Filing of Proposed Customer Notice* in Docket No. E-2, Sub 1174 (“Sub 1174
13 Order”), the Commission ordered that: (1) the Company shall propose
14 modifications to the Residential Smart Saver EE Program no later than
15 December 31, 2018, with the goal of restoring the Total Resource Cost (“TRC”)
16 effectiveness test score to 1.00 or greater, and the Company shall discuss the
17 impact of these modifications and any other actions it has taken to improve cost-
18 effectiveness in next year’s DSM/EE rider proceeding; (2) in its next DSM/EE
19 rider filing, DEP should address the continuing cost-effectiveness of the Non-
20 Residential Smart Saver Performance Incentive Program and, if it is not cost-
21 effective, provide details of plans to modify or close the program; (3) DEP shall
22 address the continuing cost-effectiveness of the Residential MyHER Program
23 and, if it is not cost-effective, provide details of plans to modify or close the

1 program; (4) that the Company should incorporate the recommendation made
2 by Public Staff witness Williamson that the program evaluator for the
3 Company's EE Lighting Program should (a) include the basis for the selected
4 weighting methodology (weightings based on bulb sales, measure savings, or
5 other metric) when assessing program savings, and (b) indicate what other
6 weighting methodologies were considered and why they were rejected, and why
7 the selected methodology is preferable, in future EM&V reports for the EE
8 Lighting Program; (5) that DEP shall leverage the DEP Collaborative to discuss
9 the EM&V issues and program design issues raised in the testimony of NC
10 Justice Center witness Neme, as well as the issues raised by Public Staff witness
11 Williamson regarding the MyHER program and the impact of upcoming
12 lighting standards. The results of these discussions, specifically including the
13 salient points arising from the discussion of the issues raised in the testimonies
14 of witnesses Neme and Williamson, shall be reported to the Commission in the
15 Company's 2019 DSM/EE rider filing. In addition, the report should identify
16 all participants in the Collaborative discussions; identify any new ideas,
17 proposals, programs and/or program adjustments presented or arising out of the
18 discussions; summarize the Company's analysis or evaluation of such ideas,
19 proposals, programs or program adjustments; and provide a status update with
20 respect to unfinished or future discussions of the Collaborative; and (6)
21 beginning in 2019, the combined DEC/DEP Collaborative shall meet every
22 other month.

1 **Q. PLEASE ADDRESS THE CONTINUING COST-EFFECTIVENESS OF**
2 **THE RESIDENTIAL SMART \$AVER PROGRAM, THE NON-**
3 **RESIDENTIAL SMART \$AVER PERFORMANCE PROGRAM, AND**
4 **THE RESIDENTIAL MYHER PROGRAM.**

5 **A. Residential Smart \$aver EE Program:**

6 On December 18, 2018, the Company filed proposed modifications to its
7 Residential Smart \$aver EE Program. As filed, the projected TRC score
8 equaled 1.35. Due to concerns expressed by the Public Staff, non-HVAC
9 related measures were removed and incorporated into a new program,
10 Residential Energy Efficient Appliances and Devices. The remaining HVAC
11 related measures yielded an anticipated TRC score of 1.03, which represents
12 the present value for the period extending from 2019 through 2023. The 0.97
13 TRC score for 2020 represents a significant increase from last year's 2019
14 estimate of 0.57. This has been accomplished through: (1) the recognition of
15 lower incremental customer costs; (2) making trade ally participation more
16 streamlined and less costly; (3) reducing the Company's Program
17 administrative costs; (4) recognizing a three-year transition to referral-only
18 channels; and (5) introducing an online channel, similar to that provided
19 through DEC's Residential Smart \$aver EE Program.

20 While the Residential Smart \$aver EE Program is not assumed to be
21 cost-effective at this time, the Company believes that the 1.03 TRC referenced
22 above is obtainable and reiterates that suspending or terminating the only
23 program that assists customers in making the largest single energy user in their

1 homes, the HVAC system, more energy efficient is not justified, especially
2 when the customers' decision to make said investment only comes around
3 approximately once every fifteen years. Given the significant increase in the
4 projected TRC results from 2019 to 2020 (0.57 to 0.97), and that 2020 is only
5 the second of the five years used in the Company's forecast, the forecasted 1.03
6 TRC may have been understated. A suspension of this program would also
7 impact the Company's relationships with HVAC contractors by eroding trust
8 and engagement, which would make it difficult to offer programs that would
9 require trade ally support in the future.

10 Non-Residential Smart \$aver Performance Incentive Program:

11 DEP's Non-Residential Smart \$aver Performance Incentive Program
12 ("Performance Incentive Program") is not expected to have a TRC score
13 exceeding 1.0 in 2020. The forecasted 2020 TRC score is 0.99, and the UCT
14 score is 4.05. Although the 0.99 TRC score may be viewed as slightly less than
15 optimal in isolation, it is important to note that this program is an extension of
16 the Non-Residential Smart \$aver Program. In particular, the Performance
17 Incentive Program encompasses energy saving measures related to new
18 technologies, unknown building conditions, and system constraints, as well as
19 uncertain operating circumstances, occupancy, or production schedules. In
20 these cases, energy savings are difficult to project accurately. Due to the scope
21 of projects envisioned, the Company also believes that the program could
22 impact a customer's decision to opt into the EE portion of the rider; in other
23 words, if this program were no longer offered as part of the Company's EE

1 portfolio, additional eligible customers may elect to opt out as a result. This
2 program also limits the prospects of overcompensating participants, at the
3 expense of other customers, or undercompensating participants for their EE
4 improvements. Thus, this program is an important component of the
5 Company's non-residential portfolio of programs, and the Company believes
6 that its cost-effectiveness results will continue to improve as more customers
7 become familiar with it and participation increases. To ensure the program
8 supports cost-effective projects, the Company is estimating TRC scores in
9 advance to determine whether or not a project is appropriate for program
10 participation. This screening of individual projects will increase the overall
11 program's TRC score.

12 Residential MyHER Program:

13 The Company's residential MyHER program's TRC score is estimated
14 to be 1.01 during the rate period. Given this TRC score, the program is cost
15 effective.

16 **Q. HAS THE COMPANY INCORPORATED THE RECOMMENDATIONS**
17 **MADE BY PUBLIC STAFF WITNESS WILLIAMSON IN THE**
18 **COMPANY'S PREVIOUS DSM/EE RIDER PROCEEDING FOR THE**
19 **EVALUATION OF ITS EE LIGHTING PROGRAM?**

20 A. The Company's third-party evaluator has been notified of Public Staff witness
21 Williamson's recommendations and will incorporate them in its planning of
22 future evaluations for the Company's EE Lighting Program. At present, no

1 further evaluations for the Program are planned due to EISA standards which
2 are due to take effect in 2020.

3 **Q. PLEASE DESCRIBE THE DISCUSSIONS THE COLLABORATIVE**
4 **HAD REGARDING THE ISSUES RAISED IN LAST YEAR'S DSM/EE**
5 **RIDER PROCEEDING.**

6 A. Since September 2018, the Collaborative has discussed the following issues
7 raised in last year's proceeding: the recruitment and retention of opt-out eligible
8 customers, the development of a technical resource manual ("TRM"),
9 appropriate accounting for MyHER savings, strategies for boosting
10 participation in programs that promote retrofits or require higher upfront capital
11 investments from customers, and the effectiveness of the Collaborative itself.
12 Below is a brief summary of each of these topics and of the Collaborative's
13 decisions regarding them.

14 Opt-Outs

15 All members of the Collaborative, including the Company and DEC,
16 recognize that commercial and industrial customers represent an enormous
17 energy efficiency potential. The Company's program managers explained to
18 the Collaborative its comprehensive approach to customer education and
19 engagement in detail. This approach includes the services of large account
20 managers, energy efficiency engineers, the utilization of customer analytics,
21 and innovative programs that include project design assistance, and
22 performance incentives. Given current opt-out guidelines, the Collaborative
23 agreed that the Company's strategies are in line with what members would

1 recommend. Further discussion of opt-out policy is postponed until the opt-out
2 guidelines are modified, but the performance of programs aimed to attract
3 commercial and industrial programs will remain part of the Collaborative's
4 semi-annual program and EM&V reviews.

5 TRM

6 The Collaborative noted that the use of a TRM increases the likelihood
7 that EM&V is transparent, reliable, consistent across utilities, and updated as
8 technology changes. However, the creation and adoption of a TRM is an
9 undertaking that must include all utilities, cooperatives and municipalities in
10 North Carolina (and South Carolina for utilities that operate in both states) to
11 be of greatest value. Given that the Collaborative's influence is inherently
12 limited to DEP and DEC, the group decided it is not the appropriate venue to
13 pursue questions related to a state-wide or multi-state TRM at this time. It
14 should, however, ensure that the Company's EM&V is transparent, reliable,
15 consistent with industry standards, and updated as needed.

16 MyHER Persistence and Savings

17 The MyHER program and its EM&V are designed to account for
18 customers' automatic enrollment in MyHER, which lasts until they opt out of
19 the program. Issues of persistence are consequently not part of EM&V testing.
20 Additional concerns about whether savings from MyHER are being attributed
21 to the years in which the EE treatment occurred are not immediately relevant
22 given the absence of regulatory requirements to achieve savings targets in

1 specific years. Rather, the focus of EM&V has been on accurately capturing
2 savings within the continuous treatment model.

3 The Company acknowledges that alternative program designs may shed
4 light on potential cost savings or energy saving projections in future filings.
5 Accordingly, the Company agrees to investigate the feasibility of incorporating
6 persistence testing in upcoming EM&V studies. Because any testing will
7 require several years to complete, the Collaborative decided not to pursue this
8 issue any further until more information is available. Additionally, new data
9 made available through the deployment of AMI meters may represent an
10 opportunity for enhanced personal messaging. The Collaborative will be active
11 in contributing to all program design updates to ensure that customers receive
12 the greatest benefit from this opportunity.

13 Increasing Participation in Programs Promoting Long-Term Savings

14 The high incremental costs of equipment, the purchasing habits of
15 customers, the market realities facing trade allies, and the economic
16 vulnerability of regulated programs present numerous obstacles to increasing
17 participation in programs that promote deeper changes to a structure's energy
18 consumption—an issue of importance to many members of the Collaborative
19 and to the Company. Although the membership is committed to developing
20 strategies for overcoming these obstacles, it agreed that the conversation is
21 complex and, therefore, best located within the Collaborative's larger
22 discussion of obstacles and opportunities that face energy efficiency
23 investments at the portfolio level. Nevertheless, the Collaborative will continue

1 to monitor the Company's Smart \$aver programs, midstream successes, and
2 retrofit opportunities through the semi-annual program reports and EM&V
3 reviews.

4 Collaborative Effectiveness

5 In response to intervenor comments in DEP's and DEC's previous
6 DSM/EE cost recovery rider filings in 2018, DEC and DEP have modified the
7 Collaborative meetings. DEC and DEP meetings are now combined and held
8 bi-monthly, pursuant to the Commission's *Order Approving DSM/EE Rider*
9 *and Requiring Filing of Customer Notice*, issued in Docket No. E-2, Sub 1174
10 on November 29, 2018. Members of the Collaborative now help to develop the
11 agenda, lead portions of the discussions, and set the group's priorities.
12 Additionally, the Company is committed to allowing ample time to review
13 information prior to meetings and to following up periodically to ensure that
14 members' concerns and recommendations are thoroughly understood and
15 appropriately addressed. The Collaborative members have indicated in
16 meetings held since the modifications were implemented that they have
17 improved the group's effectiveness.

18 **Q. WHAT NEW IDEAS, PROPOSALS, PROGRAMS AND/OR PROGRAM**
19 **ADJUSTMENTS HAVE BEEN PRESENTED OR HAVE ARISEN**
20 **FROM THE COLLABORATIVE'S DISCUSSIONS?**

21 A. The Collaborative decided at the first meeting in January 2019 to focus its
22 attention on two areas in which it could make the greatest impact: (1) low-
23 income program improvement and expansion and (2) a comprehensive analysis

1 of challenges and opportunities facing DSM/EE programs at the portfolio level.
2 Each of these priorities is ambitious and will require adequate time to reach
3 conclusions and/or recommendations.

4 The Collaborative's breadth of experience in low-income programs
5 across the Southeast provides an important reference for the Company. Last
6 fall, the Collaborative was introduced to the Pay for Performance Pilot program
7 in Buncombe County, and it made several suggestions related to it. One
8 suggestion regarding the use of funds was immediately incorporated into the
9 contractual language with the vendor. Other suggestions will be incorporated
10 when the vendor(s) are able to include additional measures for direct install or
11 when additional vendors are added to the list of partners. Earlier this year,
12 program management asked members to provide suggestions for additional
13 measures for the Neighborhood Energy Savers program. Program staff will
14 present the results of requests for proposals to the members once they are
15 available. Finally, Collaborative members will have a chance to weigh in on
16 ideas the Company has to overhaul its weatherization program to ensure that
17 funds are being utilized optimally.

18 To ensure that the discussion of challenges and opportunities at the
19 portfolio level produces a tangible deliverable that all members can refer to in
20 future deliberations within the Collaborative, members will discuss topics
21 during the bimonthly meetings as they arise and then circulate notes for ongoing
22 conversation between meetings. Ultimately the goal is to develop a document
23 that accurately represents both the consensus and divergent opinions of the

1 membership, thereby capturing the breadth of the Collaborative's expertise
2 across the spectrum of DSM/EE issues. This document will be included as an
3 addendum to the Collaborative's meeting minutes. The initial discussions have
4 focused on cost-effectiveness testing, but the conversations are ongoing and far
5 from complete.

6 Recently, the Company's program staff presented the Collaborative
7 with the early stages of a program potentially building on the success of the
8 retail lighting program by expanding midstream offerings to include larger
9 appliances. The Collaborative encouraged the work the Company has done so
10 far, offered an online tool currently being used in another jurisdiction as a
11 comparison, and pledged to revisit the program once more details were
12 hammered out.

13 **Q. WHAT ORGANIZATIONS ARE REPRESENTED IN THE**
14 **COLLABORATIVE?**

15 A. The Collaborative is fortunate to have attracted and to continue to attract leaders
16 in EE and DSM efforts from across the Southeast. Besides participants from
17 Company's program management, regulatory and retail strategy, program
18 performance and analytics, and environmental affairs teams, the Collaborative
19 has enjoyed the participation of representatives from the following external
20 organizations:

21 Advanced Energy

22 American Council for an Energy-Efficient Economy

23 Carolina Utility Customers Association

- 1 Clean Energy Technology Center at North Carolina State University
- 2 Energy Futures Group
- 3 Environmental Defense Fund
- 4 Green Built Alliance
- 5 National Housing Trust
- 6 Nicholas Institute at Duke University
- 7 North Carolina Building Performance Association
- 8 North Carolina Department of Natural Resources
- 9 North Carolina Justice Center
- 10 North Carolina Public Staff
- 11 North Carolina Sustainable Energy Association
- 12 South Carolina Coastal Conservation League
- 13 South Carolina Energy Office
- 14 South Carolina Office of Regulatory Staff
- 15 Southern Alliance for Clean Energy
- 16 **Q. WHAT IS THE STATUS OF UNFINISHED OR FUTURE**
- 17 **DISCUSSIONS OF THE COLLABORATIVE?**
- 18 A. As mentioned earlier, the Collaborative will continue to support the Company's
- 19 efforts to improve and expand its low-income programs and to analyze the
- 20 obstacles and opportunities for the Company's future DSM/EE portfolio. The
- 21 group currently plans to meet in person in July, September, and November and
- 22 to hold task-specific conference calls between meetings as needed. The

1 Company will present the salient points of those discussions to the Commission
2 in the future.

3 **Q. HAS THE COMPANY ANALYZED THE COST-EFFECTIVENESS**
4 **SCORES FOR ITS DSDR PROGRAM?**

5 A. Yes. The Company has determined that the TRC and UCT cost-effectiveness
6 scores are both 1.244. In addition, the present value of DSDR Program net
7 benefits is approximately \$70,726,000.

8 **Q. HAS THE COMPANY MADE ANY CHANGES TO ITS ANNUAL**
9 **RATIOS OF ALLOCATIONS BETWEEN NON-DSDR AND DSDR**
10 **EQUIPMENT?**

11 A. The Company reviews the allocation ratios annually each summer and
12 implements any necessary updates the following year. The Company reviewed
13 2017 units during the summer of 2018 and determined that the capacitor
14 allocation ratio should be increased from 20.36 to 21.08, and the allocation ratio
15 applied to regulators was elevated from 77.60 to 78.50 percent. The 2018 units
16 will be reviewed this summer, and any further changes will be communicated
17 to the Public Staff and implemented on January 1, 2020.

18 **III. RULE R8-69 FILING REQUIREMENTS**

19 **Q. PLEASE PROVIDE AN OVERVIEW OF THE INFORMATION DEP IS**
20 **PROVIDING IN RESPONSE TO THE COMMISSION'S FILING**
21 **REQUIREMENTS.**

22 A. The information for this filing is provided pursuant to the Commission's filing
23 requirements contained in R8-69(f)(1) and can be found in my testimony and

- 1 exhibits, as well as the testimony and exhibits of Company witness Carolyn T.
2 Miller as follows:

R8-69(f)(1)		Items	Location in Testimony
(i)		Projected NC retail sales for the rate period	Miller Exhibit 6
(ii)		For each measure for which cost recovery is requested through DSM/EE rider:	
(ii)	a.	Total expenses expected to be incurred during the rate period	Evans Exhibit 1
(ii)	b.	Total costs savings directly attributable to measures	Evans Exhibit 1
(ii)	c.	EM&V activities for the rate period	Evans Exhibit 10 and 11
(ii)	d.	Expected summer and winter peak demand reductions	Evans Exhibit 1
(ii)	e.	Expected energy reductions	Evans Exhibit 1
(iii)		Filing requirements for DSM/EE EMF rider, including:	
(iii)	a.	Total expenses for the test period in the aggregate and broken down by type of expenditure, unit, and jurisdiction	Evans Exhibit 3
(iii)	b.	Total avoided costs for the test period in the aggregate and broken down by type of expenditure, unit, and jurisdiction	Evans Exhibit 1
(iii)	c.	Description of results from EM&V activities	Testimony of Robert Evans and Evans Exhibits A-I
(iii)	d.	Total summer and winter peak demand reductions in the aggregate and broken down per program	Evans Exhibit 1
(iii)	e.	Total energy reduction in the aggregate and broken down per program	Evans Exhibit 1
(iii)	f.	Discussion of findings and results of programs	Testimony of Robert Evans and Evans Exhibit 6
(iii)	g.	Evaluations of event-based programs	Evans Exhibit 5
(iii)	h.	Comparison of impact estimates from previous year and explanation of significant differences	Testimony of Robert Evans and Evans Exhibits 6 and 8
(iv)		Determination of utility incentives	Testimony of Robert Evans and Evans Exhibit 1

(v)	Actual revenues from DSM/EE and DSM/EE EMF riders	Miller Exhibit 3
(vi)	Proposed DSM/EE rider	Testimony of Carolyn Miller and Miller Exhibit 1
(vii)	Projected NC sales for customers opting out of measures	Miller Exhibit 6
(viii)	Supporting work papers	Digital recording medium accompanying filing

1

IV. PROGRAM OVERVIEW

2

Q. WHAT ARE DEP'S CURRENT DSM AND EE PROGRAMS?

3

A. The Company's current DSM and EE programs are as follows:

4

RESIDENTIAL CUSTOMER PROGRAMS

5

- Appliance Recycling Program

6

- EE Education Program

7

- Multi-Family EE Program

8

- My Home Energy Report Program

9

- Neighborhood Energy Saver Program

10

- Residential Smart \$aver EE Program

11

- New Construction Program

12

- Load Control Program (EnergyWise)

13

- Save Energy and Water Kit Program

14

- Energy Assessment Program

15

- Low-Income Weatherization Pay for Performance Program (Pilot implemented in January 2019)

16

17

NON-RESIDENTIAL CUSTOMER PROGRAMS

18

- Non-Residential Smart \$aver Energy Efficient Products and

1 Assessment Program (formerly known as the EE for Business Program)

- 2 • Non-Residential Smart \$aver Performance Incentive Program
- 3 • Small Business Energy Saver Program
- 4 • CIG Demand Response Automation Program
- 5 • EnergyWise for Business

6 **COMBINED RESIDENTIAL/NON-RESIDENTIAL PROGRAMS**

- 7 • Energy Efficient Lighting Program
- 8 • DSDR

9 **Q. PLEASE DESCRIBE ANY UPDATES MADE TO THE UNDERLYING**

10 **ASSUMPTIONS FOR DEP'S PROGRAMS THAT HAVE ALTERED**

11 **PROJECTIONS FOR VINTAGE 2020.**

12 A. EM&V results were used to update the savings impacts for those programs for

13 which DEP received EM&V results after it prepared its application in Sub 1174.

14 Updating programs for EM&V results changes the projected avoided cost

15 benefits associated with the projected participation and, hence, impacts the

16 calculation of the specific program and overall portfolio cost-effectiveness, as

17 well as the calculation of DEP's projected shared savings incentive.

18 **Q. AFTER FACTORING THESE UPDATES INTO DEP'S PROGRAMS**

19 **FOR VINTAGE 2020, DO THE RESULTS OF DEP'S PROSPECTIVE**

20 **COST-EFFECTIVENESS TESTS INDICATE THAT IT SHOULD**

21 **DISCONTINUE OR MODIFY ANY OF ITS PROGRAMS?**

22 A. DEP performed a prospective analysis of each of its programs and the aggregate

23 portfolio for the Vintage 2020 period. The results of this prospective analysis

1 are contained in Evans Exhibit 7. This exhibit shows that four programs do not
2 pass the TRC and/or UCT thresholds of 1.0. These programs are: (1) the
3 Neighborhood Energy Saver Program, which was not cost-effective at the time
4 of Commission approval (but was approved based on its societal benefits); (2)
5 the Residential Smart Saver EE Program, formerly known as the Home Energy
6 Improvement Program; (3) the Non-Residential Smart Saver Performance
7 Incentive Program; and (4) the EnergyWise for Business Program. In the
8 aggregate, DEP's portfolio of programs continues to project cost-effectiveness.

9 As discussed earlier in my testimony, DEP continues its efforts to make
10 the Residential Smart Saver EE Program cost-effective and believes it should
11 continue to be included in the Company's portfolio.

12 The Non-Residential Smart Saver Performance Incentive Program was
13 also discussed earlier in my testimony, and the Company believes that its TRC
14 value will increase in the future, in part due to increased scrutiny in the project
15 selection process.

16 The cost-effectiveness of the EnergyWise for Business Program is
17 obviously a concern for the Company with its 0.46 TRC score. The Company
18 is examining this program and intends to determine if program modifications
19 can increase its cost effectiveness or if discontinuation is appropriate. The
20 Company will provide the Commission with further information regarding the
21 program's continuation on or before the filing of its 2020 cost recovery request.
22

1 **V. DSM/EE PROGRAM RESULTS TO DATE**

2 **Q. HOW MUCH ENERGY, CAPACITY AND AVOIDED COST SAVINGS**
3 **DID DEP DELIVER AS A RESULT OF ITS DSM/EE PROGRAMS**
4 **DURING VINTAGE 2018?**

5 A. During Vintage 2018, DEP's DSM/EE programs delivered over 414 million
6 kilowatt hours ("kWh") of energy savings and over 404 megawatts ("MW") of
7 capacity savings, which produced a net present value of avoided cost savings
8 of close to \$249 million. The 2018 performance results for individual programs
9 are provided in Evans Exhibits 6 and 8.

10 **Q. DID ANY PROGRAMS SIGNIFICANTLY OUT-PERFORM**
11 **RELATIVE TO THEIR ORIGINAL ESTIMATES FOR VINTAGE 2018?**

12 A. Yes. In the residential market, two programs did significantly out-perform
13 compared to their original energy savings estimates: The Residential Energy
14 Assessment Program and the Residential Smart Saver EE Program. When
15 compared to estimates originally filed for Vintage 2018, the programs exceeded
16 projections by 185.0 percent and 130.7 percent, respectively. The Residential
17 Energy Assessment Program achieved increases through changes in
18 participation, changes in impacts, and mix of measures. The increase in the
19 Residential Smart Saver EE Program resulted from an increase in participation.

20 The non-residential program with the largest percentage increase in
21 expected energy savings from those forecasted for 2018 is the Non-Residential
22 Smart Saver Program. This program produced energy savings that exceeded
23 DEP's projections by 134.3 percent and capacity savings of 274.0 percent.

1 **Q. HAVE ANY PROGRAMS SIGNIFICANTLY UNDERPERFORMED**
2 **RELATIVE TO THEIR ORIGINAL ESTIMATES FOR VINTAGE 2018?**

3 A. Yes. In the residential market, in addition to the discontinued Residential
4 Appliance and Recycling Program, three programs did not achieve energy
5 savings in excess of those forecasted for 2018. These were: (1) the Residential
6 Save Energy and Water Kit Program (these measures are now included in the
7 Residential Energy Efficient Appliances and Devices Program); (2) the
8 Residential New Construction Program; and (3) the Residential Multi-Family
9 Energy Efficiency Program. These programs achieved 71 percent, 89 percent,
10 and 98 percent of projected energy savings, respectively. The primary drivers
11 for the underperformance of these programs are changes in estimated impacts
12 and in the mix of program measures.

13 In the non-residential market, the EnergyWise for Business Program
14 failed to meet energy savings expectations. Notably, this is both an EE and
15 Demand Response program. The primary drivers for the underperformance of
16 the EnergyWise for Business Program were changes to the estimated impacts.

17 **VI. PROJECTED RESULTS**

18 **Q. PLEASE PROVIDE A PROJECTION OF THE RESULTS THAT DEP**
19 **EXPECTS TO SEE FROM IMPLEMENTATION OF ITS PORTFOLIO**
20 **OF PROGRAMS.**

21 A. DEP will update the actual and projected DSM/EE achievement levels in its
22 annual DSM/EE cost recovery filing to account for any program or measure
23 additions based on the performance of programs, market conditions, economics,

1 and consumer demand. The actual results for Vintage 2018 and projection of
 2 the results for the next two years, as well as the associated actual and projected
 3 program expenses, are summarized in the table below:

DEP System (NC & SC) DSM/EE Portfolio 2018 Actual Results and 2019-2020 Projected Results			
	2018	2019	2020
Annual System MW	404	376	397
Annual System Net Gigawatt-Hours	414	402	378
Annual Program Costs (Millions)	\$97	\$90	\$99

4 **VII. EM&V ACTIVITIES**

5 **Q. CAN YOU PROVIDE INFORMATION ON THE COMPANY'S EM&V**
 6 **ACTIVITIES?**

7 A. Yes. Evans Exhibit 10 provides a summary of the estimated activities and
 8 timeframe for completion of EM&V by program. Evans Exhibit 11 provides
 9 the actual and expected dates of when the EM&V for each program or measure
 10 will become effective. Evans Exhibits A through I provide the completed
 11 EM&V reports or updates for the following programs:

Evans Exhibit	EM&V Reports	Report Finalization Date
A	Demand Response Automation – 2017	5/1/2018
B	Residential New Construction – 2015 & 2016	5/25/2018
C	EnergyWise Home Demand Response Program – Winter 2017-2018	8/6/2018
D	Small Business Energy Saver Program – 2016	9/10/2018
E	Residential Energy Assessment – 2016 & 2017	10/12/2018
F	EnergyWise for Business Program – 2017	11/9/2018

Evans Exhibit	EM&V Reports	Report Finalization Date
G	Nonresidential Smart Saver EE Products & Assessment (Custom) – 2016 & 2017	11/29/2018
H	EnergyWise Home Demand Response Program – Summer 2018	11/30/2018
I	Energy Efficiency in Education – 2017 & 2018	3/20/2019

1 **Q. HOW WERE EM&V RESULTS UTILIZED IN DEVELOPING THE**
2 **PROPOSED RATES?**

3 A. The Company has applied EM&V in accordance with the process approved by
4 the Commission in its *Order Approving Revised Cost Recovery Mechanism and*
5 *Granting Waivers* issued January 20, 2015 in Docket No. E-2, Sub 931 (“Order
6 Approving Revised Mechanism”).

7 The level of EM&V required varies by program and depends upon that
8 program’s contribution to the total portfolio, the duration the program has been
9 in the portfolio without material change, and whether the program and
10 administration is new and different in the energy industry. DEP estimates,
11 however, that no additional costs above five percent of total program costs will
12 be associated with performing EM&V for all measures in the portfolio.

13 **Q. WHICH PROGRAMS CONTAIN IMPACT RESULTS BASED ON**
14 **CAROLINAS-BASED EM&V?**

15 A. All of the impact results included in the Company’s filing (Evans Exhibits A
16 through I) are based on Carolinas-based EM&V.

17 **VIII. RATE IMPACTS**

18 **Q. HAVE THE PARTICIPATION RESULTS AFFECTED THE VINTAGE**
19 **2018 EMF?**

1 A. Yes. The EMF accounts for changes to actual participation relative to the
2 forecasted participation levels utilized in DEP's 2018 DSM/EE rider. As DEP
3 receives actual participation information, it is then able to update participation-
4 driven actual avoided cost benefits and the net lost revenues derived from its
5 DSM and EE programs. For example, with all other things being equal, for
6 programs that underperform relative to their original participation targets, the
7 EMF will be reduced to reflect lower costs, net lost revenues, and shared
8 savings incentives. On the other hand, higher-than-expected participation in
9 programs causes the EMF to reflect higher program costs, net lost revenues,
10 and shared savings incentives. In addition, the EMF is impacted by the
11 application of EM&V results.

12 **Q. HOW WILL EM&V BE INCORPORATED INTO THE VINTAGE 2018**
13 **EMF COMPONENT OF ITS RATES?**

14 A. All of the final EM&V results that were received by DEP as of December 31,
15 2018 have been applied prospectively from the first day of the month
16 immediately following the month in which the study participation sample for
17 the EM&V was completed. Accordingly, for any program for which DEP has
18 received EM&V results, the per participant impact applied to the projected
19 program participation in Vintage 2018 is based upon the actual EM&V results
20 that have been received. In addition, an adjustment has been made to correct a
21 prior misalignment between a unit of measure and a prior EM&V report for the
22 measure in the Multi-Family Program.

1 **Q. HAS THE OPT-OUT OF NON-RESIDENTIAL CUSTOMERS**
2 **AFFECTED THE RESULTS OF APPROVED PROGRAMS?**

3 A. Yes, the opt-out of qualifying non-residential customers has significantly
4 impacted DEP's overall non-residential participation and the associated
5 impacts. For Vintage 2018, DEP had 4,277 eligible customer accounts opt out
6 of participating in DEP's non-residential portfolio of EE programs and had
7 4,354 eligible customer accounts opt out of participating in DEP's non-
8 residential portfolio of DSM programs. This is an increase from the 4,165 EE
9 accounts and 4,099 DSM opt-outs reported for 2017.

10 **Q. IS THE COMPANY CONTINUING ITS EFFORTS TO ATTRACT THE**
11 **PROGRAM PARTICIPATION OF OPT-OUT ELIGIBLE**
12 **CUSTOMERS?**

13 A. Yes. Increasing the participation of opt-out eligible customers in DSM and EE
14 programs is very important to the Company. DEP continues to evaluate and
15 revise its non-residential programs to accommodate new technologies,
16 eliminate product gaps, remove barriers to participation, and make its programs
17 more attractive. The Company also continues to leverage its Large Account
18 Management Team to make sure customers are informed about product
19 offerings. Twenty-four customers did opt to participate in programs during
20 2018.

21 **IX. NET LOST REVENUES**

22 **Q. IS DEP REQUESTING RECOVERY OF NET LOST REVENUES FOR**
23 **ALL OF ITS PROGRAMS?**

1 A. No. At this time, DEP is not requesting recovery of net lost revenues for its
2 DSDR, EnergyWise, or CIG Demand Response Automation programs.

3 **Q. HAS THE COMPANY RECOGNIZED FOUND REVENUES IN ITS**
4 **CALCULATION OF NET LOST REVENUES?**

5 A. Yes. The recognized found revenues are provided in Evans Exhibit 4.

6 **Q. PLEASE DESCRIBE HOW DEP DETERMINES ITS FOUND**
7 **REVENUES.**

8 A. Consistent with the Commission's Order Approving Revised Mechanism, DEP
9 has adopted the "Decision Tree" located in Attachment C of the approved
10 revised cost recovery mechanism. Consistent with the methodology employed
11 by DEP, found revenue activities are identified, categorized, and netted against
12 the net lost revenues created by DEP's EE programs. Found revenues, as
13 calculated, result from DEP's activities that are perceived to directly or
14 indirectly result in an increase in customer demand or energy consumption
15 within DEP's service territory. However, revenues resulting from load-
16 building activities would not be considered found revenues if they (1) would
17 have occurred regardless of DEP's activity, (2) were a result of a Commission-
18 approved economic development activity not determined to produce found
19 revenues, or (3) were part of an unsolicited request for DEP to engage in an
20 activity that supports efforts to grow the economy. DEP also adjusts the
21 calculation of found revenues to account for the impacts of activities outside of
22 its DSM/EE programs that it undertakes that reduce customer consumption –
23 i.e., "negative found revenues." Based on the results of this work, all potential

1 found revenue-related activities are identified and categorized in Evans Exhibit
2 4.

3 **Q. PLEASE DISCUSS THE ADJUSTMENT THAT DEP MAKES TO ITS**
4 **FOUND REVENUE CALCULATION TO ACCOUNT FOR NEGATIVE**
5 **FOUND REVENUES.**

6 A. DEP continues to aggressively pursue, with its outdoor lighting customers, the
7 replacement of aging Mercury Vapor lights with Light Emitting Diode (“LED”)
8 fixtures. By moving customers past the standard High-Pressure Sodium
9 (“HPS”) fixture to an LED fixture in this replacement process, DEP is
10 generating significant energy savings. Because they come outside of DEP’s EE
11 programs, these energy savings are not captured in DEP’s calculation of lost
12 revenues. One of the activities that DEP includes in the calculation of found
13 revenues is the increase in consumption from new outdoor lighting fixtures
14 added by DEP; accordingly, it is logical and symmetrical to count the energy
15 consumption reduction realized in outdoor lighting efficiency upgrades. The
16 Company does not take credit for the entire efficiency gain from replacing
17 Mercury Vapor lights, but rather takes credit only from the efficiency gain from
18 replacing HPS with LED fixtures. Also, DEP has not recognized any negative
19 found revenues in excess of the found revenues calculated; in other words, the
20 net found revenues number will never be negative and have the effect of
21 increasing net lost revenue calculations.

22

X. PPI CALCULATION

Q. PLEASE PROVIDE AN OVERVIEW OF THE SHARED SAVINGS RECOVERY MECHANISM APPROVED IN THE ORDER APPROVING REVISED MECHANISM.

A. Pursuant to the Commission's Order Approving Revised Mechanism, for Vintage Year 2017 and subsequent vintage years, DEP's revised cost recovery mechanism allows it to (1) recover the reasonable and prudent costs incurred for adopting and implementing DSM and EE measures in accordance with N.C. Gen. Stat. § 62-133.9 and Commission Rules R8-68 and R8-69; (2) recover net lost revenues incurred for up to 36 months of a measure's life for DSM and EE programs; and (3) earn a PPI based upon the sharing of 11.75% of the net savings achieved through DEP's DSM/EE programs on an annual basis.

Q. IS DEP REQUESTING PPI FOR ALL OF ITS PROGRAMS?

A. No. The Company is not requesting PPI recovery for its Residential Low-Income Program or its EE Education Program. In addition, under the terms of the revised cost recovery mechanism, DEP is not eligible for a PPI for its DSDR Program.

Q. PLEASE EXPLAIN HOW DEP DETERMINES THE PPI.

A. First, DEP determines the net savings eligible for incentive by subtracting the present value of the annual lifetime DSM/EE program costs (excluding low-income programs or other programs with societal benefits which are explicitly approved with expected UCT results less than 1.0) from the net present value of the annual lifetime avoided costs achieved through the Company's programs

1 (again, excluding approved low-income and societal programs). The Company
2 then multiplies the net savings eligible for incentive by the 11.75% shared
3 savings percentage to determine its pretax incentive.

4 **XI. CONCLUSION**

5 **Q. DOES THIS CONCLUDE YOUR PRE-FILED DIRECT TESTIMONY?**

6 **A. Yes.**

BEFORE THE NORTH CAROLINA UTILITIES COMMISSION

DOCKET NO. E-2, SUB 1206

In the Matter of)	
Application of Duke Energy Progress, LLC)	REBUTTAL TESTIMONY OF
for Approval of Demand-Side Management)	ROBERT P. EVANS FOR
and Energy Efficiency Cost Recovery Rider)	DUKE ENERGY PROGRESS,
Pursuant to N.C. Gen. Stat. § 62-133.9 and)	LLC
Commission Rule R8-69)	

OFFICIAL COPY

Sep 27 2019

1 **Q. PLEASE STATE YOUR NAME, BUSINESS ADDRESS, AND**
2 **POSITION WITH DUKE ENERGY.**

3 A. My name is Robert P. Evans, and my business address is 410 S. Wilmington
4 Street, Raleigh, North Carolina. I am employed by Duke Energy Corporation
5 as Senior Manager-Strategy and Collaboration for the Carolinas in the market
6 solutions regulatory strategy and evaluation group. I am responsible for the
7 regulatory support of DSM/EE programs in North Carolina for Duke Energy
8 Progress, LLC (“DEP” or the “Company”).

9 **Q. DID YOU PREVIOUSLY FILE DIRECT TESTIMONY IN SUPPORT**
10 **OF DEC’S APPLICATION IN THIS DOCKET?**

11 A. Yes.

12 **Q. WHAT IS THE PURPOSE OF YOUR REBUTTAL TESTIMONY?**

13 A. The purpose of my rebuttal testimony is to respond to portions of the testimony
14 of Forest Bradley-Wright filed on behalf of the North Carolina Justice Center
15 (“NCJC”) and the Southern Alliance for Clean Energy (“SACE”). These are:

- 16 • The prioritization of reaching 1% of annual savings;
17 • The deployment of an Income Qualified Weatherization program
18 comparable to the current DEC program;
19 • Information provided in the Company’s annual rider filing; and
20 • Clarification of some interactions between the Company and the
21 Collaborative described by witness Bradley-Wright.

1 **Q. IS THE ONE PERCENT SAVINGS GOAL IMPORTANT TO THE**
2 **COMPANY?**

3 A. Yes. As a part of the Progress Energy, Inc. merger with Duke Energy
4 Corporation, various agreements were made with intervening parties. As a part
5 of its South Carolina merger agreement with a group referred to collectively as
6 Environmental Intervenors, the Company agreed to establish a one percent
7 annual Energy Efficiency (“EE”) savings target and also a related seven percent
8 cumulative savings target for the five-year period extending from 2014 through
9 2018.

10 **Q. HAS THE COMPANY MET OR EXCEEDED THESE SAVINGS**
11 **TARGETS?**

12 A. No, however, the Company has made significant efforts. Circumstances,
13 largely outside the Company’s ability to control, have challenged these efforts.

14 **Q. ARE THERE PENALTIES IN PLACE FOR FAILURE TO ACHIEVE**
15 **THE EE SAVINGS GOALS?**

16 A. No. The South Carolina agreement provides that “*There will be no penalties*
17 *for failure to achieve the annual or cumulative targets.*”¹ These energy savings
18 goals were intended to be aspirational and hence were factored into the
19 establishment of bonus incentive goals included in the Company’s North
20 Carolina approved cost recovery mechanism; however, in no way were they
21 ever intended to be a measure of the overall success of the Company’s portfolio.

¹ The Merger Settlement with SACE, South Carolina Coastal Conservation League, and Environmental Defense Fund filed with the South Carolina Public Service Commission on December 13, 2011 in Docket Nos. 2011-68-E and 2011-158-E.

1 **Q. HAS THE COMPANY MADE EFFORTS TO ACHIEVE THE**
2 **AFOREMENTIONED GOALS?**

3 A. Yes, it has made significant efforts to achieve these goals. Given the various
4 impediments to reaching those aspirational goals, the Company has and
5 continues to make significant strides toward their obtainment. Witness Bradley-
6 Wright noted that the Company's savings among customers that are not opted
7 out of the DSM/EE rider exceed 1%.

8 **Q. WHAT TYPE OF IMPEDIMENTS HAS THE COMPANY**
9 **EXPERIENCED WITH RESPECT TO OBTAINING THE**
10 **ASPIRATIONAL GOALS?**

11 A. There are several factors involved including the following:

- 12 • Opted-Out Customers – almost 54 percent of General Service sales,
13 which is over 31 percent of total retail sales, have opted out of the rider;
- 14 • Low Avoided Costs – declining avoided costs have made it more
15 difficult to incentivize measures cost effectively. It is important to note
16 that, with the exception low-income and societal programs, a program's
17 benefits must exceed its costs. As avoided costs drop, incentive
18 amounts that can be offered cost effectively drop as well making some
19 programs less attractive or no longer viable; and
- 20 • Increasing Building Codes and Efficiency Standards – as building codes
21 and efficiency standards increase, the opportunity for energy savings
22 that exceed the standard diminish, further eroding opportunities for cost

1 effective incentives to be offered to customers and the amount of energy
2 savings that can be achieved through programs.

3 **Q. WITNESS BRADLEY-WRIGHT ENCOURAGED THE DEPLOYMENT**
4 **OF AN INCOME QUALIFIED WEATHERIZATION PROGRAM**
5 **COMPARABLE TO THE CURRENT DEC PROGRAM. DO YOU**
6 **AGREE WITH WITNESS BRADLEY-WRIGHT?**

7 A. Yes, I do, however, with reservation. The Company is already moving toward
8 the development of weatherization programs in DEP territory. As indicated by
9 witness Bradley-Wright, the Company filed a Weatherization Pay for
10 Performance program that will operate for 3 years in Buncombe County. That
11 program launched in January of 2019 and has two more years before M&V will
12 occur to determine next steps.

13 While the Pay for Performance program is being tested, the Company is
14 pursuing and has discussed with the Collaborative an expansion of the
15 Neighborhood Energy Saver program to include additional weatherization
16 measures such as attic insulation, air sealing, duct sealing and smart
17 thermostats. The Company intends to file these proposed modifications with
18 the Commission to be effective in early 2020.

19 **Q. ARE YOU TESTIFYING ON BEHALF OF THE COLLABORATIVE?**

20 A. No. While a longtime member and former Collaborative facilitator, I cannot
21 speak or testify on behalf of the Collaborative.

22 **Q. IS WITNESS BRADLEY-WRIGHT TESTIFYING ON BEHALF OF**
23 **THE COLLABORATIVE?**

1 A. No. Because the Collaborative was created as an advisory forum, participants
2 may neither testify nor speak on behalf of the Collaborative. Members of the
3 Collaborative may submit comments to this Commission representing the
4 positions of their respective organizations on matters related to the
5 Collaborative and the Company's programs in general.

6 Q. **DO YOU AGREE WITH WITNESS BRADLEY-WRIGHT**
7 **REGARDING THE NEED TO REVISE THE COMPANY'S ANNUAL**
8 **RIDER FILING TO REFLECT A FORMAT AKIN TO THAT USED IN**
9 **ARKANSAS?**

10 A. No. The Company believes that its already voluminous annual filing (over 850
11 pages) complies with the Commission's well-considered Rule R8-68 and
12 contains all the pertinent information associated with the Company's program
13 performance and necessary for requesting cost recovery. Additionally, an
14 interested party to the proceeding may submit data requests to ascertain relevant
15 information not included in the filing, to make that information part of the
16 record if necessary. Stakeholders in both North and South Carolina are familiar
17 with the format employed today, and making a change would likely only lead
18 to stakeholder confusion and unnecessary time to adopt a format that differs
19 from the Commission's already comprehensive procedures set out in its Rule.
20 The Company is not insensitive to witness Bradley-Wright's request. While
21 the Company feels that the materials requested are not necessary for inclusion
22 in the accepted annual rider filing, the Company is in the process of preparing
23 materials for the Collaborative, in a format consistent with the one
24 recommended by witness Bradley-Wright.

1 Q. DO YOU AGREE THAT THE COLLABORATIVE'S
2 CONTRIBUTIONS, POINTED OUT ON PAGES 17 AND 18 OF
3 WITNESS BRADLEY-WRIGHT'S TESTIMONY, HAVE NOT BEEN
4 IMPLEMENTED OR HAVE RESULTED IN INCREASED PROGRAM
5 IMPACTS?

6 A. No. Witness Bradley-Wright provided examples of topics the Collaborative
7 has discussed over the past several years, including On-Bill Financing,
8 Combined Heat and Power, the development of a Technical Resource Manual,
9 strategies for addressing commercial and industrial opt-outs, the inclusion of
10 non-energy benefits and recommendations for modifying the Pay for
11 Performance Pilot Program. While these topics have not all been fully
12 implemented, the contributions of the Collaborative members have driven the
13 Company's exploration and examination of each one.

14 For example, the On-Bill Financing ("OBF") working group determined that it
15 was not cost effective to modify the Company's existing Customer Information
16 / Billing System ("CIBS") to accommodate OBF at this time; however, it was
17 agreed that, after the new CIBS is in place in 2022, it would make sense to
18 revisit the potential for OBF.

19 As to Combined Heat and Power ("CHP"), consistent with the outcome of the
20 Collaborative's discussions on potential changes to enhance the Company
21 programs' ability to incentivize CHP and upon clarification of the definition of
22 eligible CHP systems, the Company modified its program tariffs to incentivize
23 both Top and Bottom Cycling CHP.

1 The Technical Resource Manual (“TRM”) issue has been discussed by the
2 Collaborative several times, but it reached no consensus with respect to
3 benefits. A taskforce was put together to evaluate the implementation of a TRM,
4 but due to the varied interests and perceived lack of benefits associated with its
5 use, this taskforce was disbanded.

6 The topic of Non-Energy Benefits (“NEBs”) has been brought up several times
7 by Collaborative members for use in program cost-effectiveness studies. The
8 Collaborative members seemed to agree that NEBs do exist; however, there was
9 no definitive source for an appropriate quantification of NEBs when
10 determining program cost effectiveness. With that being said, the Company, as
11 a part of its Cost Recovery Mechanism review, is investigating the potential for
12 NEBs which have been vetted through the Collaborative to be considered in the
13 determination of Total Resource Cost (“TRC”) test results.

14 Opt-outs present a substantial barrier to achieving energy savings through
15 Company programs and meeting the aspirational savings targets mentioned
16 earlier in my testimony. The Collaborative continues to ponder how to succeed
17 in providing programs, given the customers’ statutory right to opt out; however,
18 to date, it has been unable to suggest a solution that can reverse the historical
19 trend. The increasing number of customers opting out will continue to be a
20 concern and topic of discussion for both the Collaborative and the Company’s
21 program staff.

22 Contrary to witness Bradley-Wright’s assertion otherwise, the Company took
23 all of the Collaborative’s recommendations regarding the Pay for Performance
24 Pilot Program into consideration and has begun implementing them as the

1 program matures and is capable of incorporating them. For instance,
2 Collaborative members asked for more non-profit organizations and measures
3 to be included in the pilot. Earlier this year, a second organization was added,
4 and the program continues to look for ways to expand measures as well.

5 These examples illustrate that the Collaborative has examined the topics and
6 proposals referenced by witness Bradley-Wright because the Collaborative's
7 input and vigorous discussion are important to the Company. Even proposals
8 that appear to be only partly incorporated spur debate and deepen the
9 Company's understanding of its customers' interests.

10 **Q. DOES THIS CONCLUDE YOUR REBUTTAL TESTIMONY?**

11 **A.** Yes.

1 MS. FENTRESS: We have asked if Mr. Evans
2 could present his direct and rebuttal testimony at the
3 same time reserving the right to recall him for
4 rebuttal if there is need to after the hearing of
5 evidence today.

6 COMMISSIONER BROWN-BLAND: All right.
7 That -- that is fine with the Commission.

8 MS. FENTRESS: Thank you.

9 BY MS. FENTRESS:

10 Q Mr. Evans, do you have a summary of your direct
11 and rebuttal testimony?

12 A Yes, I do.

13 Q Please give your summary.

14 (WHEREUPON, the summary of ROBERT
15 P. EVANS is copied into the
16 record as read from the witness
17 stand.)

18

19

20

21

22

23

24

SUMMARY OF DIRECT AND REBUTTAL TESTIMONY
OF ROBERT P. EVANS

1 My direct testimony supports DEP's Application for approval of its DSM/EE
2 cost recovery rider for 2020, which encompasses the Company's currently effective
3 cost recovery and incentive mechanism and portfolio of programs approved by the
4 Commission. In particular, my testimony includes a discussion of items the
5 Commission specifically directed the Company to address in this proceeding, an
6 overview of the Commission's Rule R8-69 filing requirements, a synopsis of the
7 DSM/EE programs included in this filing, a discussion of program results and an
8 explanation of how these results have affected DSM/EE rate calculations,
9 information on DEP's Evaluation Measurement & Verification, or "EM&V"
10 activities, and an overview of the calculation of the Company's Portfolio
11 Performance Incentive, or "PPI."

12 First I discuss actions that the Commission directed the Company to take in
13 the last cost recovery proceeding, which includes the cost effectiveness of the
14 Residential Smart Saver EE program, the Non-Residential Smart Saver
15 Performance program and the Residential MyHER program. Further, with respect
16 to Public Staff witness Williamson's recommendations for evaluation of the EE
17 Lighting program, the Company has notified its third-party evaluator, who plans to
18 incorporate the recommendations in evaluations which occur after the EISA
19 standards take effect in 2020. With respect to the Collaborative's
20 recommendations regarding issues in the last rider proceeding, I summarize the
21 Collaborative's decisions on opt-outs, TRM, MyHER persistence and savings,

1 increasing participation to promote long-term savings, and Collaborative
2 effectiveness. In 2019 the Collaborative decided to focus on 2 ambitious priorities:
3 (1) low-income program improvement and expansion, and (2) a comprehensive
4 analysis of challenges and opportunities facing DSM/EE programs at the portfolio
5 level.

6 DEP's cost recovery mechanism allows it to (1) recover the reasonable and
7 prudent costs incurred for adopting and implementing DSM and EE measures; (2)
8 recover net lost revenues incurred for up to 36 months of a measure's life for DSM
9 and EE programs; and (3) earn a PPI based upon the sharing of 11.75% of the net
10 savings achieved through DEP's DSM/EE programs on an annual basis. The
11 Experience Modification Factor, or "EMF," in the rider accounts for changes to
12 actual participation relative to the forecasted participation levels utilized in prior
13 DSM/EE riders and also reflects the application of EM&V results.

14 EM&V results were updated to reflect the savings impacts for those
15 programs for which DEP received EM&V reports after it prepared its application
16 in last year's DSM/EE proceeding. These reports are included as Exhibits A
17 through I to my direct testimony. After factoring in these EM&V updates, DEP
18 performed a prospective analysis of each of its programs and the aggregate portfolio
19 for the Vintage 2020 period. In the aggregate, DEP's portfolio of programs
20 continues to project cost-effectiveness.

21 In my testimony, I include a comprehensive list of all of the DSM and EE
22 programs included the Company's current portfolio. During Vintage 2018, DEP's
23 DSM/EE programs delivered almost 376 million kilowatt hours of energy savings

1 and almost 402 megawatts of capacity savings, which produced net present value
2 of avoided cost savings of close to \$252 million.

3 The purpose of my rebuttal testimony is to respond to the testimony of
4 Forest Bradley-Wright, filed on behalf of the North Carolina Justice Center and the
5 Southern Alliance for Clean Energy.

6 First, I explain why the Company has prioritized reaching the goal of one
7 percent annual Energy Efficiency savings: as a part of the Progress Energy, Inc.
8 merger with Duke Energy Corporation, the Company agreed to establish a one
9 percent annual Energy Efficiency savings target and also a related seven percent
10 cumulative savings target for the five-year period extending from 2014 through
11 2018. While the Company has not met these savings targets, due to circumstances
12 largely outside its control, it has made significant efforts to achieve them. As
13 witness Bradley-Wright noted, the Company's savings among customers that have
14 not opted out of the DSM/EE rider exceed one percent.

15 Second, I agree with witness Bradley-Wright that the Company should
16 develop income-qualified weatherization programs. The Company filed a
17 Weatherization Pay for Performance pilot program that will operate for 3 years in
18 Buncombe County, and the Company intends to file an expansion of the
19 Neighborhood Energy Saver program to include additional weatherization
20 measures, to be effective in early 2020.

21 Third, I disagree with witness Bradley-Wright that the Company needs to
22 revise its annual rider filing to reflect the format used in Arkansas. The Company
23 believes that its voluminous filing complies with Commission Rule R8-68 and

1 contains the pertinent information necessary for the Commission to evaluate the
2 cost recovery request.

3 Fourth, I disagree with witness Bradley-Wright's statement that the
4 Collaborative's contributions have not been implemented or have resulted in
5 increased impacts. While topics such as On-Bill Financing, Combined Heat and
6 Power, and the development of a Technical Resources Manual have not been fully
7 implemented, the Collaborative members have driven the Company's exploration
8 of each issue. The Company took the Collaborative's recommendation regarding
9 the Pay for Performance Pilot into consideration and has begun implementing them
10 as that program matures, e.g., adding a second nonprofit organization earlier this
11 year. The Collaborative's input spurs debate and deepens the Company's
12 understanding of its customers' interests.

13 This concludes my summary.

1 BY MS. FENTRESS:

2 Q Thank you.

3 MS. FENTRESS: The witness is available for
4 cross examination.

5 COMMISSIONER BROWN-BLAND: Thank you. Is
6 there cross examination for this witness? Mr. Neal is
7 headed to the mic.

8 MR. NEAL: Yes. Thank you, Commissioner
9 Brown-Bland.

10 CROSS EXAMINATION BY MR. NEAL:

11 Q Good afternoon, Mr. Evans. How are you doing
12 today?

13 A Good afternoon.

14 Q It's good to see you. So from -- from your
15 summary and your rebuttal testimony, it's fair to
16 say that you are familiar with the Progress/Duke
17 Merger Agreement in which it agreed to that 1
18 percent target of prior year retail sales.

19 A I wasn't a party to that Agreement, but I am
20 aware of it.

21 Q And you would agree that in its initial
22 Application to the Commission and in your initial
23 testimony you -- DEP did not provide the
24 Commission with an update on the annual 1 percent

1 savings target.

2 A Not in this filing, no.

3 Q And likewise you would agree that in that initial
4 Application or in your testimony that DEP didn't
5 provide the Commission with an update on the
6 cumulative five-year savings target that was to
7 conclude in 2018.

8 A That's correct, it did not.

9 Q And DEP has access to that information, correct?

10 A That is correct.

11 Q And -- and if I could have an exhibit handed up.

12 COMMISSIONER BROWN-BLAND: Yes.

13 MR. NEAL: And if I could, Commissioner
14 Brown-Bland, have this marked as -- thank you. If I
15 could have this marked as NCJC et al Evans Cross
16 Exhibit 1.

17 COMMISSIONER BROWN-BLAND: It'll be so
18 identified NCJC --

19 MR. NEAL: Et al.

20 COMMISSIONER BROWN-BLAND: -- et al Cross --

21 MR. NEAL: Evans Cross Exhibit 1.

22 COMMISSIONER BROWN-BLAND: -- Evans Cross
23 Examination Exhibit 1.

24 (WHEREUPON, NCJC et al Evans Cross

1 Exhibit 1 is marked for
2 identification.)

3 BY MR. NEAL:

4 Q So Mr. Evans, are you -- have you seen this
5 before in preparation for this hearing or in --

6 A I was aware of the data request response from
7 which is the source.

8 Q Uh-huh. And so you would agree this is a --
9 DEP's response to a data request from SACE and my
10 other clients related to the percentage of the --
11 the savings target that we just discussed?

12 A That is correct.

13 Q Okay. And turning your attention to the second
14 page of -- of the -- of the document, looking
15 down towards I guess number 3B in the middle, you
16 had agreed that it shows that DEP achieved .79
17 percent savings as a percentage of 2017 retail
18 sales in 2018?

19 A Yes. Including opt-out sales volumes, it is
20 correct.

21 Q Okay. And you would agree --

22 COMMISSIONER BROWN-BLAND: Mr. -- Mr. Evans,
23 always stay in that mic and keep your voice up.

24 THE WITNESS: I'm sorry. The chair is --

1 COMMISSIONER BROWN-BLAND: Thank you.

2 THE WITNESS: I wish it was like my car.

3 COMMISSIONER BROWN-BLAND: Thank you.

4 THE WITNESS: Yes, Commissioner.

5 BY MR. NEAL:

6 Q And you would agree that in the -- in the Merger
7 Agreement there was no exemption for opt-outs for
8 that target?

9 A Not that I read in the document; no, sir.

10 Q And turning your attention to the issue of data
11 reporting that you addressed in your rebuttal,
12 did -- you would agree that in DEP's filings, the
13 Commission that the -- or if the Commission or
14 members of the public wanted to compare let's say
15 anticipated savings with actual savings achieved
16 by DEP, they would need to the compare exhibits
17 from a prior year's application to a current
18 year's; isn't that right?

19 A Yes. Well, actually there are information on
20 forecast versus actual, but it would be a means
21 to compare the two years, yes.

22 Q And by the same token if -- DEP doesn't provide
23 year over year comparison of cost effectiveness
24 scores for its portfolio programs in its

1 Application; isn't that right?

2 A No, it does not.

3 Q All right. And you would agree that that kind of
4 information might help show trends within DEP's
5 portfolio programs?

6 A It certainly would.

7 Q Turning your attention to the Collaborative, you
8 described some changes made to the Collaborative
9 in your testimony and you would agree that those
10 changes are consistent with the purpose of the
11 Collaborative?

12 A I would. Consistent with the desire of parties
13 within the Collaborative, I would agree with
14 that; yes, sir.

15 Q Okay. And is it your understanding that the
16 Collaborative was initially established following
17 a settlement in the Save-A-Watt docket in 2009?

18 A The DEC Collaborative was settled as a result of
19 the Save-A-Watt agreements; however, the DEP
20 Collaborative did not exist at that point in time
21 and had not existed for several years. You're
22 looking at 2014, September was the first meeting
23 of the DEP Collaborative.

24 Q But they are a combined Collaborative at this

1 point; isn't that right?

2 A Yes, they are combined at this time.

3 Q And in that initial stakeholder group that was
4 established in the DEC Save-A-Watt docket was
5 called the Regional Efficiency Advisory Group; is
6 that right?

7 A I'm not aware of that, sir.

8 Q It's before your time?

9 A I was not involved, no.

10 MR. NEAL: If there's not an objection
11 Commissioner Brown-Bland, I would ask that the
12 Commission take judicial notice of the Agreement and
13 Joint Stipulation of Settlement in Docket E-7, Sub 831
14 filed on June 12th, 2009.

15 COMMISSIONER BROWN-BLAND: There being no
16 objection, that is allowed.

17 MR. NEAL: Thank you.

18 BY MR. NEAL:

19 Q Mr. Evans, I have a quick question about the
20 correction you made to your testimony earlier on
21 page 25. I assume then that that would carry over
22 to page -- the chart on the -- after line 3 on
23 page 27 where you also summarized DEP system
24 annual savings in terms of MW, GW hours, and

1 program costs?

2 A No, it would not. It was a error in isolation.

3 Q Well, just -- I just want to make sure I've got
4 this right. Your correction to the testimony on
5 page 25 changed 2018 kW-hour savings of 414 to
6 376. As I read the chart on page 27 that 414
7 number is there as well. Would that not be 376
8 GW hours?

9 A You are correct.

10 Q Okay. And likewise the -- the number above that
11 would also be no longer 404 MW but 402?

12 A That's right.

13 Q Okay.

14 A They are off one by -- they appear to be off by
15 one year.

16 Q Okay. Oh, so then -- and that helps. Is
17 there -- would there also need to be a correction
18 for the 2019 figures in that chart? Are those --

19 A They would have to be moved out one year. As you
20 can see 2019 is where the 2018 are used -- is
21 using 2018 values. However, that would have to
22 be replaced as this is an estimate. Although,
23 certain estimates are not changed year over year,
24 so I would have to verify that that would need to

1 be changed, Mr. Neal.

2 Q Okay.

3 MR. NEAL: I have no further questions.

4 Thank you.

5 COMMISSIONER BROWN-BLAND: Ms. Edmondson?

6 MS. EDMONDSON: Yes.

7 CROSS EXAMINATION BY MS. EDMONDSON:

8 Q Good afternoon, Mr. Evans.

9 A Good afternoon.

10 Q I just wanted to ask you one quick question or
11 series of questions to clarify the Merger
12 Settlement. That Merger Settlement that Mr. Neal
13 referred to, that was approved by the South
14 Carolina Public Service Commission; is that
15 correct?

16 A As I understand it, that is correct.

17 Q And to your knowledge has that Merger Settlement
18 ever been presented for approval to or approved
19 by this Commission?

20 A Not that I'm aware of, no.

21 Q But isn't it correct that the current DSM/EE
22 mechanisms for Duke Energy Progress and Duke
23 Energy Carolinas do include an additional
24 incentive if DEC or DEP achieve the 1 percent

1 level of savings?

2 A Yes, there are.

3 Q All right. Thank you.

4 MS. EDMONDSON: That's all I have.

5 COMMISSIONER BROWN-BLAND: Is there
6 redirect?

7 MS. FENTRESS: Thank you.

8 REDIRECT EXAMINATION BY MS. FENTRESS:

9 Q Mr. Evans, Ms. Edmondson asked you about the
10 Settlement Agreement that was filed as part of
11 the South Carolina Commission's approval of the
12 Duke Progress merger in South Carolina. I
13 believe Mr. Neal also asked you about opt-outs
14 not being mentioned in this Settlement Agreement.
15 Is it the case that the opt-outs you refer to in
16 your testimony here refer to North Carolina
17 opt-outs?

18 A When we are looking -- for opt-outs, for purposes
19 of rate calculation, we are only looking at North
20 Carolina. However, when we look at statistics of
21 this type, we are looking on a system basis.

22 Q But just to clarify, the opt-outs you refer to
23 are the ones that are established by General
24 Statute 62-133.9 in your testimony?

1 A That's correct.

2 Q And another -- I had a couple of other questions
3 as well. You had discussed the Collaborative and
4 the workings of the Collaborative. Has -- how
5 long has Mr. Bradley-Wright the witness for SACE
6 participated in the Collaborative?

7 A To my knowledge it'll be a year this month.

8 Q All right. And how do members of the
9 Collaborative present programs or measures to the
10 Collaborative for consideration?

11 A We have a procedure that has been long in effect.
12 We call it a Program Modification Template where
13 we ask certain questions about new programs or
14 changes to existing programs. For example, where
15 have they been used before? What kind of results
16 have they had and so forth? And that is a --
17 basically a formal document within -- for use
18 within the Collaborative itself.

19 Q And Mr. Evans, I believe Mr. Bradley-Wright has
20 filed testimony in this proceeding. Do you
21 recall whether he filed testimony in the DEC
22 DSM/EE proceeding?

23 A He did file testimony in the DEC DSM/EE
24 proceeding.

1 Q Has he ever presented one of these program or
2 program proposal or modification forms to the
3 Collaborative in this time?

4 A No.

5 Q Thank you.

6 MS. FENTRESS: That's all I have.

7 COMMISSIONER BROWN-BLAND: Questions by the
8 Commissioners? Commissioner Clodfelter?

9 COMMISSIONER CLODFELTER: Thank you.

10 EXAMINATION BY COMMISSIONER CLODFELTER:

11 Q Mr. Evans, I'm going to ask you about something
12 that I couldn't find in your testimony and you
13 haven't been asked about today.

14 A Yes, Commissioner.

15 Q But your my DMS/EE witness, so I'm going to ask
16 it anyway. Does the Company have the ability to
17 map the load impacts of its DSM and EE programs
18 by substation or by individual distribution
19 circuit? Can you map the load impacts of those
20 programs?

21 A I am not aware of the capabilities involved,
22 Commissioner. I really can't answer your
23 question. I'm sorry.

24 Q That would -- that would need to be somebody else

1 in the Company?

2 A I'm afraid so. You're talking about a
3 collection, I think, of people with a grid
4 organization as well as --

5 Q That's right.

6 A -- DSM/EE --

7 Q Right.

8 A -- and I'm sure somebody in our computers
9 department as well.

10 Q All right. I'll leave you alone then for the
11 rest of the day.

12 A Thank you, Commissioner.

13 EXAMINATION BY COMMISSIONER BROWN-BLAND:

14 Q Mr. Evans, your counsel asked you about how
15 matters get presented to the Collaborative and
16 you referred to a Program Modification Template,
17 correct?

18 A Yes, ma'am.

19 Q Now, so when I hear about a program being
20 modified, I'm assuming that applies to an
21 existing program, but you also mentioned new
22 programs and counsel mentioned the word proposal.
23 Is it a different form? Same form? Does it
24 involve new programs?

1 A It is the same form, Commissioner.

2 Q So participants in the Collaborative use the same
3 form to make a new proposal of a new program?

4 A That's correct.

5 Q All right. Now, with regard to -- well, actually
6 the introduction of a new program or the
7 modification of an existing program, it's a
8 opportunity for the participants in the
9 Collaborative. Is there opportunity for them to
10 have input before a program is implemented or
11 before when a program is modified?

12 A Yes, ma'am.

13 Q Okay.

14 A Commissioner, we tried to provide the
15 Collaborative membership information about our
16 intentions to make changes so they're not taken
17 by surprise. And as far as those changes, we
18 also ask for input. That is when we have DEC or
19 DEP initiated changes. When we have
20 Collaborative requested changes, that is a
21 somewhat different situation.

22 Q So I believe in Witness Bradley-Wright's
23 testimony he gave a couple of examples, one
24 having to do with Pay for Performance. Could you

1 talk about that a little bit? You took issue
2 with that. Tell us --

3 A It was --

4 Q -- where it is that you took issue with what he
5 had to say.

6 A Certain organizations within the Collaborative I
7 believe representing Southern Alliance for Clean
8 Energy at the time I don't want to say felt, but
9 wanted the Collaborative and Duke to examine
10 having an additional implementer for the
11 programs. We had one picked out initially.
12 We're -- see, we're looking at a period of 150
13 homes, so in -- and this is a pilot program, we
14 had looked at one. However, now we -- based on
15 the input from the Collaborative, we are adding a
16 second vendor or an implementer.

17 Q All right. And so your testimony is that you --
18 you disagree that the Collaborative's
19 recommendations are not taken into account and
20 that you have begun to implement them. Is that
21 the gist of where you take issue?

22 A That's correct, Commissioner.

23 Q And I may be wrong, and he may clear this up when
24 it's his turn on the stand, or you may know now

1 but one of the things that I thought he was
2 raising as an issue was the ability of the
3 Collaborative to have some input prior -- prior
4 to the implementation of a change in the sense
5 that that may add to more efficiencies or better
6 effectiveness. In other words, the program can
7 go out the door or the change can go out the door
8 with everyone in the Collaborative having had
9 input or it can go out of the door, operate for a
10 while, and then come back around and -- in other
11 words, sort of save time and cut out that step by
12 -- by already having everyone's input before it
13 goes out. Did I misread that? And if I did not,
14 what do you have to say about -- about that?

15 A I can't speak obviously to his testimony;
16 however, we even, for example, changing marketing
17 programs or the marketing approach to a program,
18 we have solicited out Collaborative membership
19 even for that type of a change. Often times they
20 cannot be done within the timing of the
21 Collaborative, because the Collaborative now
22 meets six times a year, but sometimes things have
23 to be done quickly, and so they are notified
24 outside or in between those meetings and we -- we

1 ask for input.

2 However, for example, the
3 Neighborhood Energy Saver modifications we have
4 brought that before the Collaborative twice
5 already and we will be probably filing that let's
6 say in October, next month, or November for that
7 matter trying to get it into effect in 2020. We
8 want to have as much -- and the reason we brought
9 this out early is to have as much input as we
10 possibly could from the Collaborative. It's much
11 easier for us to have agreement on the front end
12 than to have disagreements once a program has
13 gone into place.

14 Q So I'm looking at page 23 of Witness
15 Bradley-Wright's testimony and he's saying here
16 as I paraphrase that while the Company is
17 interested in engaging the Collaborative, it's
18 not provided information in a way that allows for
19 the most meaningful stakeholder engagement, but
20 that the matters come to the Collaborative after
21 the Company's ideas have been formed and at -- at
22 -- and after the point when the stakeholder input
23 would be most valuable. And then he gave as an
24 example the Pay for Performance program where the

1 program was approved or the Company sought to get
2 the Commission's approval before the
3 Collaborative was engaged. And if I understood
4 what you just said, the Company would think that
5 it was better to have the input up front. Is
6 this an example --

7 A Better --

8 Q Is this an example of where the timing just
9 didn't work out or --

10 A No, ma'am. In that case we had the Collaborative
11 meeting -- this was an after-the-fact suggestion
12 during this developmental stage. So that was
13 something based on feedback from Collaborative
14 membership that we went ahead and made that
15 change. We felt that it was appropriate. The
16 Collaborative felt that it was appropriate to do
17 so.

18 Q So the change itself came from the Collaborative;
19 is that what you're saying in the first instance?

20 A Yes, Commissioner.

21 Q All right. Another question that -- another
22 question I had was in regard to the idea also
23 coming from Mr. Bradley-Wright's testimony
24 regarding having certain information provided,

1 whether there needed to be an amendment or have
2 certain information provided in the Company's
3 Application versus going through the data request
4 process, and as I understand your testimony, you
5 -- you believe it's sufficient to be in the data
6 request process. As I read -- or as I would sort
7 of paraphrase the testimony from
8 Mr. Bradley-Wright, there was some issue about
9 the timeliness of the provision of that
10 information through a data request. Not -- not
11 that the Company was late necessarily in
12 responding to the data request, but just having
13 to go through that process to get the
14 information. Is there any -- aside from having
15 to amend the rule or change the application
16 process or what's contained in the -- in the
17 application, is there any thought being given to
18 certain of these data requests, or such that
19 there could just be a standing data request and
20 the Company could provide that sooner than later?
21 A If the Commission would deem it appropriate, the
22 Company would have no problem doing such. That
23 information can be determined, but it takes a
24 little bit of work. You're pulling here and

1 you're pulling information there, which might be
2 a problem. Of course, any type of -- that you
3 can't really pick up all possible requests
4 upfront have in testimony or in exhibits.

5 Q So I'm --

6 A So I -- I guess you -- you know, how do you
7 forecast the future in terms of what is being --
8 what is going to be asked for? However, again,
9 if the Commission deemed it appropriate, the
10 Company would have no difficulty whatsoever
11 putting that information in my or some
12 successor's testimony or as a part of filing.

13 Q Well, let's talk about the timing of the
14 availability if that's an issue for the Company.
15 So on page 6 of your rebuttal down around lines
16 22, 23, 24, there you -- you indicated at the
17 time of filing of the rebuttal you were in the
18 process of preparing the materials for the
19 Collaborative. So just in terms of a timing
20 issue, is it -- was it available sooner and
21 could've been made available sooner? Or is it
22 the fact that you need this kind of time to be
23 able to provide that?

24 A In this case we could be done -- it could've been

1 provided to the Collaborative upon request.
2 Obviously, if we're looking for 2018 data, we
3 can't have it January 1, 2019, so there's a
4 little bit of a lag. But if it were requested
5 with the Collaborative, there would be no good
6 reason for us to say no or do it yourself. We
7 would certainly come out with and be able to
8 determine that and make that available.

9 Q All right. Thank you.

10 COMMISSIONER BROWN-BLAND: Further questions
11 from the Commission? Chair Mitchell?

12 EXAMINATION BY CHAIR MITCHELL:

13 Q Just one question for you. I read Mr.
14 Bradley-Wright's testimony to call for an
15 expansion of DEC's or a replication of DEC's
16 Income Qualified Weatherization program in DEP
17 service territory. Can you -- can you provide
18 the Company's response to that request? And I'll
19 stop there and ask follow-up if necessary.

20 A Yes, Chairman. We -- the Company has taken that
21 into account. We have what we call a
22 Neighborhood Energy Saver, which has limited
23 measures right now helping those folks in low --
24 in designated low-income neighborhoods. However,

1 we are looking at expanding that program in 2020
2 to accommodate and take and provide
3 weatherization measures much like the DEC
4 Weatherization program. So, in other words,
5 expand the available measures including
6 weatherization related items; insulation, et
7 cetera.

8 Q Do I understand Mr. Bradley-Wright's point to be
9 though that the DEC program reaches more income
10 qualified participants than the Net -- what is it
11 -- Neighborhood Energy Savers program and that's
12 really his -- his main issue is that DEC is
13 reaching more low-income customers than the --
14 even the expanded DEP program would?

15 A I don't really understand the -- the NES
16 touches -- the program touches many more
17 customers than the DEC Weatherization program.
18 We could almost say multi- -- use a multiplier
19 there. Was that question, what --

20 Q No. I guess my -- my question is does the DEC
21 program touch or is it available to more
22 income-qualified customers than the DEP, even the
23 expanded DEP program would be?

24 A No, that would not be the case.

1 Q So the -- an expanded DEP program would reach
2 more income-qualified customers than the DEC
3 program would?

4 A That's correct, considerably more.

5 Q Okay. Thank you.

6 COMMISSIONER BROWN-BLAND: Commissioner
7 Clodfelter?

8 FURTHER EXAMINATION BY COMMISSIONER CLODFELTER:

9 Q I lied to you earlier. I am going to ask you
10 another question. If you give me enough time to
11 sit here, I'll -- I'll think of another one too.
12 Let me come at it -- related to the first
13 question I asked you, but let me come at it from
14 a different direction.

15 A Yes, sir.

16 Q When you're designing the marketing of your DSM
17 and EE programs, do you ever get input, receive
18 it from your distribution planners or your
19 transmission planners? Do they ever come to you
20 and say could you target or focus the marketing
21 in certain geographic locations? Do you have a
22 dialogue like that?

23 A Yes, we have, and this goes back quite a ways.
24 We have -- in Buncombe County we had a winter

1 peaking situation at the time where we had summer
2 peaking elsewhere. We provided winter measures
3 in that area, nowhere else in the system, because
4 we needed to take into account the winter peaking
5 needs for the location. That's the only
6 exception that I'm aware of, sir, that there had
7 to be some interaction between the parties. Of
8 course, we all knew that that particular part of
9 the state was winter peaking.

10 Q Right.

11 A But again, that's the extent of my knowledge of
12 that kind of collaboration.

13 Q Do you know who initiated that? Was that -- was
14 that coming from your system planners? Was the
15 initiative for that focus coming from your system
16 planners or was it coming from the DSM/EE program
17 side?

18 A That came from the DSM/EE program side, but
19 that's not to say that there was some
20 collaboration between the system planners and the
21 DSM/EE group and I'm unaware of any collaboration
22 of such.

23 Q Obviously though you had to have been aware of
24 the situation of --

1 A Yes, sir. That's why we initiated --

2 Q -- of the -- of the load management situation in
3 that -- in that area.

4 A Yes, sir.

5 Q Okay.

6 A It was fairly common knowledge to the Company.

7 Q Yeah. But you're not aware of any other -- other
8 similar instances to that?

9 A Not that I'm aware of, Commissioner.

10 Q Okay. Thank you.

11 COMMISSIONER BROWN-BLAND: All right.

12 Questions on Commission's questions? All right.

13 I'll hear from you. You had an exhibit?

14 MR. NEAL: Oh, yes. Thank you. Thank you,
15 Commissioner. We would at this time move in NCJC et
16 al Evans Cross Exhibit 1.

17 COMMISSIONER BROWN-BLAND: Is there any
18 objection?

19 MS. FENTRESS: No objection.

20 COMMISSIONER BROWN-BLAND: Then that will be
21 received into evidence.

22 (WHEREUPON, NCJC et al Evans Cross
23 Exhibit 1 is received into
24 evidence.)

1 COMMISSIONER BROWN-BLAND: I think we got
2 all of Mr. Evans' testimony. So, Mr. Evans, thank
3 you. And you may be excused.

4 THE WITNESS: Thank you, Commissioner.

5 (The witness is excused)

6 MR. NEAL: Commissioner Brown-Bland, I think
7 at this time it would be appropriate to call Mr.
8 Bradley-Wright to the stand. Or have you --

9 MS. FENTRESS: Yes, that is -- that is all
10 for Mr. Evans and we move his testimony and exhibits
11 into the record --

12 COMMISSIONER BROWN-BLAND: All right.

13 MS. FENTRESS: -- subject to the ability to
14 recall him if necessary.

15 COMMISSIONER BROWN-BLAND: All right. They
16 have all been received. All right.

17 FOREST BRADLEY-WRIGHT;
18 having been duly sworn,
19 testified as follows:

20 DIRECT EXAMINATION BY MR. NEAL:

21 Q Good afternoon. Could you please give your full
22 name and business address?

23 A Forest Bradley-Wright. 3804 Middlebrook Pike,
24 Knoxville, 37921.

1 Q On -- Mr. Bradley-Wright, on August 19th did you
2 submit for prefiling in this docket direct
3 testimony consisting of 37 pages along with two
4 exhibits?

5 A Yes, I did.

6 Q And do you have any changes or corrections to
7 your prefiled testimony?

8 A I do. I have two.

9 Q And could you please explain those changes now?

10 A On page 24 line 17 related to the section on Pay
11 for Performance, the sentence "DEP did not accept
12 or incorporate of those recommendations" should
13 be added to include "in their application to the
14 Commission." On page 37 line 12 and 13 there is
15 a hyperlink indicated that appears no longer to
16 be operational as it was previously. Rather than
17 read the whole hyperlink, I will just note that
18 it is the same all the way up until the portion
19 after the last forward slash, which currently
20 reads "energy-efficiency-reporting-tool," dashes
21 between the words. The replacement language
22 should read "flexible-and-consistent-reporting."
23 Those are my two changes.

24 MR. NEAL: And Commissioner Brown-Bland,

1 because that is a hyperlink, if it would be easier, I
2 could pass out copies of that or send a corrected
3 hyperlink, whichever would be easiest.

4 COMMISSIONER BROWN-BLAND: I think you
5 should send a corrected hyperlink to be in the record
6 to be in the -- in the Commission's docket system.

7 MR. NEAL: And maybe I'll just give it to
8 the court reporter now, too. Thank you.

9 BY MR. NEAL:

10 Q Mr. Bradley-Wright, other than those corrections
11 that you just gave -- well, I'm sorry. I forgot
12 to ask about one other thing. Other than the
13 corrections that you just gave, if the questions
14 put to you in your testimony were asked at this
15 hearing today, would your answers be the same?

16 A They would.

17 Q And were the exhibits to your testimony prepared
18 by you or under your direction?

19 A Yes.

20 MR. NEAL: Commissioner Brown-Bland, at this
21 time I would move to have Mr. Bradley-Wright's
22 prefiled direct testimony, as corrected, entered into
23 the record as though given orally from the stand and
24 to have the exhibits attached to his prefiled direct

1 identified as premarked.

2 COMMISSIONER BROWN-BLAND: That motion will
3 be allowed and the exhibits will be identified as they
4 were when prefiled as they were marked.

5 MR. NEAL: Thank you.

6 (WHEREUPON, FBW-1 and FBW-2

7 Exhibits are marked for

8 identification as prefiled.)

9 (WHEREUPON, the prefiled direct

10 testimony of FOREST

11 BRADLEY-WRIGHT, as corrected, is

12 copied into the record as if given

13 orally from the stand.)
14
15
16
17
18
19
20
21
22
23
24

BEFORE THE NORTH CAROLINA UTILITIES COMMISSION
DOCKET NO. E-2, SUB 1206

In the Matter of:)	TESTIMONY OF FOREST
Application of Duke Energy Progress,)	BRADLEY-WRIGHT
LLC pursuant to G.S. 62-133.9 and)	ON BEHALF OF NORTH
Commission Rule R8-69 for Approval)	CAROLINA JUSTICE CENTER,
of Demand-Side Management and)	NORTH CAROLINA HOUSING
Energy Efficiency Cost Recovery)	COALITION, AND SOUTHERN
Rider)	ALLIANCE FOR CLEAN ENERGY

OFFICIAL COPY

Sep 27 2019

Table of Contents

I. INTRODUCTION	3
II. TESTIMONY OVERVIEW	6
III. DEP’S ENERGY SAVINGS ACHIEVEMENTS AND PROJECTIONS	9
IV. DEP’S COMPLIANCE WITH THE COMMISSION’S ORDER IN DOCKET	
E-2, SUB 1174	26
V. CONCLUSION.....	37

I. INTRODUCTION

Q. PLEASE STATE YOUR NAME, POSITION AND BUSINESS ADDRESS.

A. My name is Forest Bradley-Wright. I am the Energy Efficiency Director for Southern Alliance for Clean Energy (“SACE”), and my business address is 3804 Middlebrook Pike, Knoxville, Tennessee.

Q. ON WHOSE BEHALF ARE YOU TESTIFYING IN THIS PROCEEDING?

A. I am testifying on behalf of the North Carolina Justice Center (“Justice Center”), North Carolina Housing Coalition (“Housing Coalition”), and SACE.

Q. PLEASE SUMMARIZE YOUR QUALIFICATIONS AND WORK EXPERIENCE.

A. I graduated from Tulane University in 2001 and in 2013 received my Master of Arts degree from Tulane in Latin America Studies with an emphasis on international development, sustainability, and natural resource planning.

My work experience in the energy sector began in 2001 at Shell International Exploration and Production Co., where I served as the Sustainable Development Team Facilitator.

From 2005 to 2018, I worked for the Alliance for Affordable Energy. As the Senior Policy Director, I represented the organization through formal intervenor filings and before regulators at both the Louisiana Public Service Commission and the New Orleans City Council on issues such as integrated resource planning,

1 energy-efficiency rulemaking and program design, rate cases, utility acquisition,
2 power plant certifications, net metering, and utility scale renewables. As a
3 consultant, I also prepared and filed intervenor comments on renewable energy
4 dockets before the Mississippi and Alabama Public Service Commissions. In
5 2014, I was a runoff candidate for the Louisiana Public Service Commission First
6 District seat.

7 Since 2018, I have been the Energy Efficiency Director for SACE. In this role, I
8 am responsible for leading dialogue with utilities and regulatory officials on
9 issues related to energy efficiency in resource planning, program design, budgets,
10 and cost recovery. This takes the form of formal testimony, comments,
11 presentations, and/or informal meetings in the states of Georgia, Florida, North
12 Carolina, South Carolina, Mississippi and in jurisdictions under the Tennessee
13 Valley Authority.

14 A copy of my resume is included as Exhibit SACE-FBW-1.

15 **Q: HAVE YOU BEEN AN EXPERT WITNESS ON ENERGY-**
16 **EFFICIENCY MATTERS BEFORE THE NORTH CAROLINA**
17 **UTILITIES COMMISSION?**

18 **A:** Yes, I filed expert witness testimony in 2019 with regard to the
19 Application of Duke Energy Carolinas, LLC (“DEC”) for Approval of Demand-
20 Side Management and Energy Efficiency Cost Recovery Rider in Docket No. E-7,
21 Sub 1192.

1 **Q: HAVE YOU BEEN AN EXPERT WITNESS ON ENERGY-**
2 **EFFICIENCY MATTERS BEFORE OTHER REGULATORY**
3 **COMMISSIONS?**

4 **A:** Yes, I have filed expert witness testimony in Georgia related to Georgia
5 Power Company's 2019 Demand Side Management application and in Florida
6 related to the Florida Energy Efficiency Conservation Act target setting
7 proceeding.

II. TESTIMONY OVERVIEW

Q. WHAT IS THE PURPOSE OF YOUR TESTIMONY?

A. The purpose of my testimony is to provide a high-level review of the performance of Duke Energy Progress' ("DEP" or "the Company") Demand-Side Management and Energy Efficiency ("DSM/EE") portfolio and to comment on ongoing work with the Duke Collaborative. I will discuss the following topics:

- DEP's performance in delivering energy-efficiency savings to its customers over the past year;
- the Company's energy-savings projections;
- activity at the Duke Collaborative and its role in supporting continued success of DEP's DSM/EE efforts;
- recommendations for specific program areas requiring Commission attention
- the benefits of adopting a standardized annual reporting template.

1 **Q. PLEASE SUMMARIZE YOUR OVERALL IMPRESSION OF**
2 **DEP'S DSM/EE PERFORMANCE.**

3 **A.** DEP has again fallen well short of the one percent annual savings target
4 agreed to in a settlement with SACE and other parties in the Duke-Progress
5 merger, and continues to lag substantially behind the savings achieved by its sister
6 company, DEC. Nevertheless, DEP still delivers significant energy and cost
7 savings to its customers and is the only other major utility in the Southeast to
8 achieve savings above the national average. However, there remains significant
9 room for improvement. DEP continues to rely too heavily on short-term,
10 behavioral programs, particularly My Home Energy Report, which accounted for
11 58% of all energy savings achieved from residential energy-efficiency programs
12 in 2018 (an increase from 53% in 2017). An enhanced focus on delivering longer-
13 lived savings would better help customers manage their energy bills. DEP appears
14 to recognize the importance of these issues and has been constructively engaged
15 in addressing portfolio-level opportunities and challenges with stakeholders
16 through ongoing work at the Collaborative.

17 **Q. ARE THERE SPECIFIC PROGRAM AREAS THAT MERIT**
18 **ADDITIONAL ATTENTION FROM DEP?**

19 **A.** Yes. The Justice Center, Housing Coalition, and SACE continue to stress
20 the importance of providing energy and bill savings for DEP's low-income
21 customers. More efforts should be targeted at these customers, who have the
22 highest energy burdens (the highest percentage of income spent on residential
23 energy bills), and consequently, the most need for cost-saving energy-efficiency
24 programs.

1 **Q. WHAT ACTIONS DO YOU RECOMMEND DEP AND THE**
2 **COMMISSION TAKE BASED ON YOUR OBSERVATIONS?**

3 **A.** I offer the following recommendations:

- 4 • DEP and the Commission should continue to prioritize reaching the 1%
5 annual savings target through a variety of strategies, including refinement
6 of its portfolio of programs with the goal of pursuing higher-level, longer-
7 lived savings and increased overall cost effectiveness. Discussion on
8 possible future targets is ongoing in Commission's Dockets E-2, SUB 931
9 and E-7, SUB 1032 and should be additionally informed by filings in this and
10 previous DEP DSM/EE Recovery Rider dockets.
- 11 • The Company should continue its efforts to increase participation in and
12 effectiveness of programs that benefit its low-income customers.
- 13 Specifically, I encourage consideration of deploying an Income Qualified
14 Weatherization program in DEP that is comparable to the one currently
15 available to customers in DEC's service territory.
- 16 • I encourage DEP and the Commission to consider specifically including
17 annual and cumulative savings achievements as a leading component of
18 the Company's rider filing going forward, rather than requiring intervenor
19 data requests to obtain this information.

20 The Justice Center, Housing Coalition, and SACE appreciate the increased strides
21 made over the last year related to these matters and look forward to continued
22 engagement on these questions at the Collaborative.

1 **III. DEP'S ENERGY SAVINGS ACHIEVEMENTS AND**
2 **PROJECTIONS**

3 **Q. DID DEP MEET THE ENERGY SAVINGS TARGETS**
4 **ESTABLISHED DURING THE DUKE ENERGY AND PROGRESS**
5 **MERGER?**

6 **A.** No. DEP did not meet the one-percent annual savings target in the most
7 recent or in any previous year, nor did it meet the seven-percent cumulative target
8 by 2018 that the Company committed to in settlement during the Progress Merger
9 ("Merger Settlement").¹

10 In 2018, DEP delivered 339 gigawatt-hours ("GWh) of efficiency savings at the
11 meter, equal to 0.79% of the previous year's retail sales.^{2 3} This reflects a 5.7%
12 decline in incremental savings from the previous year, for which DEP reported
13 annual savings of 0.83% of prior-year retail sales. At the time of this filing, the
14 Company had not yet responded to a follow-up data request to provide its
15 calculation of cumulative portfolio savings. But considering that DEP did not
16 reach its 1% annual savings target in any year since the Merger Settlement, it is
17 safe to conclude that the Company likewise did not reach its cumulative savings
18 target. Reaching both the annual savings and cumulative savings targets should

¹ The Merger Settlement with SACE, South Carolina Coastal Conservation League, and Environmental Defense Fund calls for annual energy savings of at least 1% of prior-year retail sales beginning in 2015 and cumulative savings of at least 7% over the period from 2014 through 2018. The Merger Settlement was approved by the Public Service Commission of South Carolina ("PSCSC") in Docket No. 2011-158-E.

² DEP Response to SACE *et al* Data Request 1-3.

³ DEP reports energy savings as "Net at Plant" or at the generator level, which is an important data point for comparison with supply resources in integrated resource planning. However, for purposes of evaluating customer benefits, at the meter figures are useful.

1 still be a priority for DEP going forward. I encourage the Commission to hold the
2 Company accountable for doing so.

3 **Q. DID DEP MEET ITS OWN ENERGY-SAVINGS PROJECTIONS**
4 **IN 2018?**

5 **A.** DEP exceeded projected energy savings of 325 GWh for 2018⁴ by
6 approximately 10%. However, DEP failed to set their projections at a high
7 enough level for reaching the 1% of prior-year retail sales agreed to in the Merger
8 Settlement. Even though actual savings came in above projections, the Company
9 still fell far short of achieving its target.

10 **Q. DOES DEP PROJECT THAT IT WILL SUSTAIN THESE**
11 **SAVINGS LEVELS IN THE FUTURE?**

12 **A.** No. DEP projects a decline in efficiency saving of more than 25.4 GWh in
13 2020, with a corresponding drop in the percent of annual sales down to 0.72%.⁵ If
14 these projections are realized, the corresponding 7.1% drop in GWh savings
15 would indicate the need for increased attention by DEP and the Collaborative on
16 ramping up efforts to achieve savings from the Company's program offerings,
17 particularly from programs that provide deeper, longer-lasting savings.

18 **Q. WAS THE COMPANY'S EE PORTFOLIO COST-EFFECTIVE IN**
19 **2018?**

20 **A.** Yes. DEP's DSM/EE portfolio continues to be very cost-effective with
21 benefits of the programs significantly exceeding costs, thereby demonstrating that
22 DEP's customers are realizing real value from the Company's programs. As

⁴ DEP Application for Approval of DSM and EE Cost Recovery Rider, NCUC Docket E-2, Sub 1145 (June 2017), Evans Ex. 1, p. 7.

⁵ DEP response to SACE *et al* Data Request 1-3.

1 indicated by the Utility Cost Test (“UCT”) score, the net benefits ratio grew
2 considerably, going to 3.43 the previous year to 3.69 in 2018. However, as a
3 matter of overall financial impact, this improvement in UCT was not enough to
4 overcome the loss of kWh, and total net present value (NPV) of avoided cost
5 declined by \$35,473,204 over the same period.^{6 7} While UCT scores have been
6 on an inclining trend for the past three years, TRC scores had been declining in
7 each of the past two years, before rebounding to 2.86 in 2018.⁸ The TRC for all
8 residential programs of 3.46 exceeded the Company’s average.

9 One exception was the Home Energy Improvement program, which had a TRC of
10 only 0.6, but a UCT score of 1.0. For several reasons, the cost-effectiveness of
11 this program has been an important subject of discussion both at the Collaborative
12 and in previous DSM/EE recovery rider testimony. First and foremost, it is one of
13 the most important programs for achieving deeper and longer lasting energy
14 savings. Second, the methodology for calculating TRC currently used in North
15 Carolina counts all costs, but is incomplete in accounting for benefits – an
16 analytic asymmetry that warrants additional attention at the Collaborative. In
17 light of these considerations, Duke, the Justice Center, SACE, and a number of
18 stakeholders at the Collaborative have discussed the possibility of shifting
19 towards use of the UCT for determining program cost effectiveness. This
20 recommendation was included in recently filed comments by SACE, Sierra Club,

⁶ DEP Evans Exhibit 1, page 5

⁷ DEP response to SACE *et al* Data Request 1-2

⁸ *Id.*

1 and Natural Resources Defense Council in the ongoing DSM/EE rider mechanism
2 review for DEC and DEP (in NCUC dockets E-2, Sub 931 and E-7, Sub 1032).

3 **Q. HOW DID RESIDENTIAL AND NON-RESIDENTIAL SAVINGS**
4 **RELATE TO TOTAL SAVINGS IN 2018?**

5 **A.** Having again fallen short of the 1% savings target, the declines in both
6 residential and non-residential savings from 2017 to 2018 is disappointing.

7 The 8% decline in non-residential savings from 2017 to 2018 was far less
8 dramatic than the 30% experienced by DEC over the same period. But unlike its
9 sister company, DEP did not make up any ground with additional residential
10 savings, which instead also declined by 4%. Ongoing declines in non-residential
11 savings, largely as a result of non-residential opt outs, have been a consistent
12 issue raised by SACE and the NC Justice Center in previous filings.

13 The drop in residential savings was driven by declines in the Energy Efficient
14 Lighting and Save Energy and Water Kit programs. These reductions were
15 partially offset by increases in savings from My Home Energy Report. For non-
16 residential programs, the overall decline is hard to interpret due to large variations
17 in savings observed across essentially all non-residential programs from 2017 to
18 2018.⁹

19 The potential impact of impending changes in federal residential lighting
20 standards on DEP's savings is cause for future concern. I recommend a focus on
21 increasing deeper and longer lived measures to achieve a more balanced and

⁹ DEP response to SACE *et al* Data Request 1-6

1 robust portfolio of programs going forward, which has been a focus of concern for
2 the Justice Center and SACE in recent years.

3 **Q. WHAT EFFECT DO NON-RESIDENTIAL OPT OUTS HAVE ON**
4 **PERCENTAGE OF ENERGY SAVINGS?**

5 **A.** In 2018, 55% of the non-residential load opted out of DEP's energy
6 efficiency rider.¹⁰

7 Because commercial and industrial efficiency savings can be among the most
8 economic, greater savings among these customers would likely translate into even
9 higher utility system cost reductions, benefitting all of the Company's ratepayers.

10 Adjusted to exclude non-residential opt outs, DEP's savings as a percentage of
11 sales in 2018 was 1.19%, compared to 0.79% overall, suggesting that were it not
12 for the large number of opt outs, Duke could reach and exceed the 1% savings
13 target.¹¹ Though DEP has not yet provided specific analysis for comparison, it is
14 at least possible that they could have reached the cumulative target were it not for
15 the large number of non-residential opt outs.

16 **Q. HOW DID DEP'S LOW INCOME EFFICIENCY SAVINGS**
17 **COMPARE TO PREVIOUS YEARS?**

18 **A.** Savings from the DEP Neighborhood Energy Saver program increased
19 slightly in 2018 from the previous year. The Company also requested
20 Commission approval for a low income Pay-for-Performance pilot program, but it

¹⁰ Miller Exhibit 6, line 5

¹¹ Again, it is notable that DEP has the second highest savings as a percentage of sales in the Southeast, but the region as a whole lags far behind the national average and most other regions.

1 did not start until 2019 and the scale is currently very small. Unlike DEC, DEP
2 does not offer an Income Qualified Weatherization program. I believe this
3 represents a significant missed opportunity to deliver both additional total
4 residential savings and higher savings per customer than result from participation
5 in the NES program. The subject is discussed later in this testimony, along with a
6 recommendation to deploy an Income-Qualified Weatherization program for DEP
7 customers.

8 DEP has indicated that increasing savings for low-income customers is a priority
9 and I strongly encourage them to continue pursuing this objective. I am currently
10 supporting this effort alongside a robust group of interested advocates through our
11 work at the Collaborative, and offer a variety of suggestions below. Important
12 progress has already been made over the past several months and I look forward
13 to building on this crucial work in the Collaborative.

14 **Q. WHAT ARE SOME OF THE ISSUES ASSOCIATED WITH**
15 **DELIVERING EFFICIENCY PROGRAMS TO LOW INCOME**
16 **CUSTOMERS?**

17 **A.** In DEP's 2018 DSM/EE Rider Docket (Docket E-2, Sub 1174), Chris
18 Neme of the Energy Futures Group provided testimony that identified several
19 important issues related to serving low-income customers, including equity
20 concerns and the need for program designs that match their particular financial
21 and housing circumstances (for example, programs for renters, multifamily and
22 manufactured homes). His testimony noted that the Company's investment in
23 low-income programs as a percentage of total efficiency budgets lagged behind

1 peer utilities and was insufficient to meet the needs of low-income customers,
2 who also contribute to the DSM/EE Rider. He also noted that improving low-
3 income customers' ability to pay provides utility system benefits to all customers.
4 His recommendation was for Duke to engage the Collaborative in working to
5 expand and enhance the deployment of low income efficiency programs. While
6 such discussion has begun in earnest at the Collaborative, the issues identified in
7 Mr. Neme's testimony persist. To achieve better results for low-income
8 ratepayers, there is considerable work ahead.

9 **Q. WHAT IS THE RELATIONSHIP BETWEEN THE DEP DSM/EE**
10 **RECOVERY RIDER PROCEEDING AND THE COLLABORATIVE**
11 **WORKING GROUP?**

12 **A.** Stakeholder engagement with Duke on energy efficiency-related matters
13 in North Carolina predates the merger with Progress Energy, going back more
14 than a decade when it helped shape the 2007 Duke Energy Carolinas Energy
15 Efficiency Plan and the original Save-a-Watt efficiency programs. In a settlement
16 agreement concluding the 2009 proceeding for Duke Energy Carolinas' Save-a-
17 Watt Approach, the Commission-approved settlement established a regional
18 stakeholder advisory group that has since been formalized as the Collaborative.
19 Key components of the agreed upon guidance for the Collaborative include:

- 20 • Collaborating on new program ideas, reviewing modifications to existing
21 programs, and ensuring an accurate public understanding of the programs
22 and funding

- 1 • Reviewing the EM&V process, giving periodic status reports on program
- 2 progress, helping to set EM&V priorities
- 3 • Providing recommendations for the submission of applications to revise or
- 4 extend programs and rate structures
- 5 • Guiding efforts to expand cost-effective programs for low-income
- 6 customers¹²

7 The Commission-approved settlement called for regular meetings involving a
 8 broad spectrum of regional stakeholders representing balanced interests, as well
 9 as national energy efficiency advocates and experts. The settlement included the
 10 following:

11 *“The advisory group will determine its own rules of operation, including the*
 12 *process for setting the agendas and activities of the group, consistent with these*
 13 *terms. Members agree to participate in the advisory group in good faith*
 14 *consistent with mutually-agreed upon rules of participation.”¹³*

15 Over the years, the Commission has routinely referred work to the Collaborative
 16 on a range of matters arising in recovery rider dockets, and required Duke to
 17 report back to the Commission on progress made on these issues.

18 **Q. WHAT ARE SOME OF THE HISTORIC STRENGTHS OF THE**
 19 **COLLABARATIVE?**

¹² DOCKET NO. E-7, Sub 831 - Application of Duke Energy Carolinas, LLC For Approval of Save-a-Watt Approach, Energy Efficiency Rider and Portfolio of Energy Efficiency Programs, Agreement and Joint Stipulation of Settlement, p. 26.

¹³ *Id.*

1 A. Program progress and evaluation, measurement, and verification reporting
2 have been strengths of the Collaborative experience in recent years, with Duke
3 providing substantial documentation and involving a wide range of relevant
4 efficiency program staff in the Collaborative meetings. Furthermore, the
5 Collaborative has provided a valuable context for establishing productive working
6 relationships between relevant Duke employees and participating stakeholders,
7 while increasing communication and the regular flow of information. Complex
8 energy-efficiency issues—particularly at the programmatic or measure level—are
9 difficult to effectively address in formal dockets before the Commission. The
10 Collaborative provides an important alternative venue to problem solve issues on
11 an ongoing basis.

12 **Q. PLEASE IDENTIFY SOME OF THE HISTORIC CHALLENGES**
13 **OR DEFICIENCIES OF THE COLLABORATIVE PRIOR TO**
14 **SEPTEMBER 2018?**

15 A. In the past, the Collaborative's efforts to develop new program ideas,
16 modify existing programs, or otherwise impact the overall efficiency savings of
17 Duke's portfolio of programs were not as robust as envisioned in the
18 Commission-approved settlement that launched the stakeholder group. However,
19 as I discuss below, there are some encouraging signs that the Collaborative is
20 improving.

21 Specifically, in recent years the Collaborative has explored opportunities to
22 increase portfolio benefits through:

- 23 • On-Bill Financing

- 1 • Combined Heat and Power
- 2 • Development of a Technical Resource Manual
- 3 • Strategies for addressing Commercial and Industrial Opt-outs¹⁴
- 4 • Multi-family efficiency programs
- 5 • Maximization of cross-program marketing
- 6 • Non-energy benefits
- 7 • Manufactured housing

8 Despite the dedication of extensive time, energy, and resources by Duke and
9 participating stakeholders, the above-listed efforts have yet to be implemented by
10 Duke Energy and thus, have not resulted in any increased savings. While no
11 single factor likely explains this failure to achieve more substantive
12 accomplishments, it is important to consider the various factors that could lead to
13 greater success in the future, which are discussed in further detail below.

14 Fortunately, over the past year, DEP and Collaborative stakeholders have given
15 renewed attention to fulfilling the Commission-approved guidance on how
16 meetings should be run, as well as continued investment in building relationships
17 between participants and embracing the “good faith” responsibility originally
18 envisioned a decade ago.

¹⁴ Including through strategic energy management

1 **Q. WOULD ADDRESSING THESE ISSUES ENHANCE THE VALUE**
2 **OF THE COLLABORATIVE AND THE OVERALL SUCCESS OF DEP**
3 **EFFICIENCY EFFORTS?**

4 **A.** The Collaborative is useful because detailed efficiency program
5 implementation issues are best addressed through joint problem solving and
6 collaboration. Moreover, many efficiency issues do not fit effectively into formal
7 docketed proceedings, where procedural constraints may limit opportunities for
8 sufficiently detailed and open discussion. My recommendation to continue using
9 the Collaborative for these types of issues is consistent with Mr. Neme's
10 testimony on the subject from last year, recommendations that I adopt.¹⁵

11 Therefore, despite disappointment with the low level of impact resulting from the
12 Collaborative's work in recent years, many stakeholders remain committed to its
13 original purpose and strive to understand and overcome past limitations. As noted
14 below, I see encouraging signs that Duke also recognizes the importance of these
15 issues and is willing to try new approaches going forward.

16 At the end of the year, it would be appropriate to evaluate whether better results
17 have been achieved, or whether additional operational changes or Commission
18 direction is warranted.

19 **Q. WHAT STEPS HAVE BEEN TAKEN TOWARD**
20 **COLLABORATIVE IMPROVEMENT IN THE PAST YEAR?**

¹⁵ Testimony of Chris Neme on behalf of Justice Center, Housing Coalition, Natural Resources Defense Council, and SACE, NCUC Docket E-2, Sub 1174 (2018 Application of DEP for Approval of DSM/EE Rider).

1 A. Beginning in September 2018, I have worked closely with Duke to
2 implement a number of positive changes that improve the likelihood of current
3 and future work at the Collaborative showing concrete results than in the past.

4 These include:

- 5 • More frequent in-person meetings to achieve greater momentum on
6 Collaborative priorities
- 7 • Shared agenda-setting to identify pertinent topics, achieve greater
8 stakeholder buy-in, and increase discussion among participants
- 9 • Higher levels of stakeholder involvement
- 10 • Shifting focus away from formulaic reporting by the Company towards a
11 greater emphasis on problem-solving opportunities and the development
12 of program enhancement recommendations
- 13 • Group decision-making on setting the Collaborative's annual work
14 priorities
- 15 • More communication between DEP and collaborative parties between
16 regular Collaborative meetings
- 17 • More research and project work conducted by DEP and Collaborative
18 parties between collaborative meetings
- 19 • New expectations around tangible project deliverables

- Active focus by all parties on two specific priorities selected by the group: addressing portfolio-level opportunities and challenges to reach and exceed the 1% annual savings target and increasing energy- and bill-savings for low income customers

It is encouraging that even with more frequently scheduled meetings, Stakeholder participation in the Collaborative has been robust, and Duke has enlisted participation by a large number of their program management staff. In addition to SACE and NC Justice Center, active participants in the Collaborative currently include¹⁶:

- Advanced Energy
- American Council for an Energy-Efficient Economy
- Carolina Utility Customers Association
- Clean Energy Technology Center at North Carolina State University
- Energy Futures Group
- Environmental Defense Fund
- Green Built Alliance
- National Housing Trust
- Nicholas Institute at Duke University
- North Carolina Building Performance Association

¹⁶ DEP Application, Testimony of Evans, pp. 17-18.

- 1 • North Carolina Department of Natural Resources
- 2 • North Carolina Justice Center
- 3 • North Carolina Public Staff
- 4 • North Carolina Sustainable Energy Association
- 5 • South Carolina Coastal Conservation League
- 6 • South Carolina Energy Office
- 7 • South Carolina Office of Regulatory Staff
- 8 • Southern Alliance for Clean Energy

9 To expand our own capacity, SACE enlisted the support of Jim Grevatt, of
10 Energy Futures Group, to aid the work of the efficiency advocates at the
11 Collaborative. He brings valuable additional technical expertise and personal
12 perspective from efficiency working groups in other jurisdictions. Duke's
13 willingness to accommodate the changes above, and stakeholders' commitment of
14 greater time and resources to the Collaborative, are encouraging. If it were not for
15 this renewed investment in the work of the Collaborative from DEP and other
16 stakeholders, I would have little reason to anticipate better outcomes.

17 **Q. ARE THERE STILL CHALLENGES TO ACHIEVING HIGHER**
18 **LEVELS OF EFFECTIVENESS AT THE COLLABORATIVE?**

19 **A. Yes.** While numerous process steps have already been taken to improve
20 the Collaborative, there are still challenges that warrant attention.

1 As noted in the 2009 settlement agreement, making recommendations on potential
2 modifications to existing programs and making suggestions concerning the
3 addition of new programs are among the main purposes of the Collaborative. In
4 order to do so, the Collaborative needs to receive pertinent information on a
5 timely basis. Otherwise, stakeholders in the Collaborative do not have the ability
6 to review DEP's plans, engage in fruitful discussions, work through potential
7 issues, and develop practical recommendations.

8 We continue to experience problems receiving timely information from the
9 Company. Since last September, the Company has proposed modifications to
10 several existing programs and proposed one new program. While the Company
11 appears to be genuinely interested in engaging the Collaborative on these program
12 modifications and new program proposals, it has not provided information in a
13 way that allows for the most meaningful stakeholder engagement. Duke has
14 typically provided its plans for program modifications or new programs after the
15 Company's ideas are all but fully formed, after the point when stakeholder input
16 would be of most value.

17 This timing contributes to a diminished role for the Collaborative when it comes
18 to program modification and development. Ultimately, this approach represents a
19 significant lost opportunity and one of the principal challenges to effectiveness at
20 the Collaborative. Nevertheless, I believe that the Company is engaging in good
21 faith to move the Collaborative in the right direction and receive substantive
22 contributions from stakeholders.

1 DEP has been making meaningful strides in improving the flow of information
2 refining their methods of engagement. Most recently, the Company signaled a
3 desire to discuss the topic of expanding the midstream channel for delivery of
4 efficiency measures, work that has only just begun.

5 A summary of recent experience with program changes is illustrative:

- 6 • **Pay for Performance** – This new program concept was also introduced at
7 the September 2018 Collaborative meeting, but Duke opted to seek
8 approval from the Commission prior to engaging Collaborative
9 participants in its development. Expanding efficiency program offerings
10 for low-income customers is one of the highest priorities among
11 stakeholders, making this a natural topic for work at the Collaborative.
12 Instead, the only available opportunity for input was via filing a letter with
13 the Commission. SACE joined North Carolina Sustainable Energy
14 Association in doing so, and provided a number of recommendations that I
15 believe could improve the impact and likelihood of success for the
16 program in its pilot phase and beyond. DEP did not accept or incorporate
17 any of those recommendations.
- 18 • **Neighborhood Energy Saver** – At the November 2018 Collaborative
19 meeting, Duke announced its intention to modify the Neighborhood
20 Energy Saver program and provided background information the
21 following month. When the subject was discussed as an agenda item at
22 the January 2019 Collaborative meeting, DEP indicated that there would
23 be an opportunity for input from interested stakeholders and offered to

1 host a call for more in-depth discussion. That call was the first time Duke
2 described details of its proposed modifications and, when asked, indicated
3 that the deadline for any feedback was the following day. Unfortunately,
4 this was both impractical from a timing perspective and lacked the kind of
5 structure needed for deliberative review, problem solving, and
6 development and recommendations that is needed for meaningful
7 collaboration to occur. In this case, it should be noted that SACE
8 supported the specific changes Duke proposed. However, lack of
9 participation in the process represented a significant missed opportunity
10 for further programmatic improvements.

11 These examples are meant to illustrate opportunities for more improvement at the
12 Collaborative, not to contest specific changes made to these programs. However, I
13 believe that improvements in how Duke engages the Collaborative during the
14 development of new programs and modification of existing programs is extremely
15 important for fulfillment of the intended purpose of stakeholder engagement.

16 There currently is no common understanding, protocol, or timeline for
17 Collaborative review and development of recommendations for new programs or
18 modifications to existing programs. Uncertainty around specific deliverables,
19 timelines, and pathways for implementation at the Collaborative contributes to a
20 lack of clarity on what it will take for the work of the Collaborative to have an
21 effect on Duke's decisionmaking. Without this kind of clarity, it will be difficult
22 for the Collaborative to see its work translate into substantive outcomes.

IV. DEP'S COMPLIANCE WITH THE COMMISSION'S ORDER IN DOCKET E-2, SUB 1174

1 A. In general, I agree with DEP's characterization of discussion at the
2 Collaborative on these topics. However, I feel it important to note that attention
3 and discussion on many of these topics were of a very limited nature.

4 One reason is that the time between the Commission's order on November 29,
5 2018 and DEP's filing in this docket is short, only about six months. Even with
6 more frequent meetings, this was not enough time to take an in-depth look at most
7 of these issues.

8 Another reason many issues were not addressed at much depth was that the group
9 decided to first dedicate time toward improving the way the Collaborative
10 operates, rather than repeat the experience of past efforts, which yielded little
11 substantive results.

12 Finally, the group decided to focus the majority of its efforts on two overarching
13 priorities for 2019, described further below, rather than attempt to tackle a much
14 longer list of topics that would have exceeded our time or bandwidth.

15 Nevertheless, I would note that many of the issues that were identified in the
16 Commission's Rider 10 Order, even those that did not receive detailed attention,
17 remain topics of interest that will likely warrant work at the Collaborative in the
18 future.

19 One of the important lessons drawn from previous experience with the
20 Collaborative is that some important issues cannot be resolved in one year or less.
21 Therefore, decisions to prioritize certain issues in the short term will result in
22 other issues being deferred until a later date.

1 **Q. WHAT ARE THE 2019 PRIORITIES OF THE COLLABORATIVE?**

2 **A.** This January, the Collaborative selected two key work priorities for 2019:

- 3 • Evaluation of portfolio level opportunities and challenges
- 4 • Expansion of energy-efficiency savings for low-income customers

5 Additionally, the group will continue to participate in reviews of existing program

6 progress and discuss opportunities for program modifications and additions.

7 **Q. WHAT APPROACHES TO EVALUATING THE PORTFOLIO**

8 **LEVEL OPPORTUNITIES AND CHALLENGES IS THE**

9 **COLLABORATIVE CONSIDERING?**

10 **A.** This topic has generated considerable interest among participants and the

11 focus of work is still largely under development. There is, however, a recognition

12 that the topic overlaps with the Commission's request for comment on the current

13 incentive mechanism, rate impact, and program performance targets, as well as

14 issues related to cost-effectiveness.

15 **Q. WHAT APPROACHES TO EXPANDING LOW INCOME**

16 **EFFICIENCY IS THE COLLABORATIVE CONSIDERING?**

17 **A.** As reported in previous testimony and filings from the Justice Center and

18 SACE, both North and South Carolina have high levels of poverty and

19 correspondingly high customer energy burdens. Energy-efficiency programs for

20 low-income households are one critical tool for addressing this problem. While

21 Duke is to be commended for its low-income energy efficiency achievements to

22 date, more is needed going forward.

1 The Collaborative has identified low-income energy efficiency as one of its top
2 priorities for 2019. Discussion has centered on increasing total budgets and
3 savings impact for low-income customers and refining approaches for designing
4 and implementing programs to do so.

5 Several broad strategies have been discussed that would increase the impact of
6 efficiency programs for the benefit of low income customers:

7 **Expand budget allocations for programs targeted to low-income customers -**

8 To be effective, increased investments must be matched with well-designed
9 programs, effective delivery channels, and evaluation approaches that properly
10 inform and support periodic refinements to overcome challenges to serving this
11 segment of customers. Without higher levels of investment, however, there is
12 little hope of achieving substantially more than has been accomplished in the past.

13 **Refine and expand existing program offerings** - Over the past year, Duke has
14 shown a willingness to modify current program offerings to deliver more impact
15 to low income customers, such as proposing additional measures in the
16 Neighborhood Energy Saver (NES) program.¹⁸ Duke has initiated some
17 discussions with the Collaborative on possible modifications to its programs, and
18 there are considerable additional opportunities to build on such dialogue going
19 forward.

¹⁸ While this program does not have income qualification eligibility requirements, the neighborhood selection process involves evaluation of United States Census data to target communities with high levels of poverty.

1 **Deploy new programs** - Delivering effective low-income efficiency programs is
2 a priority for utilities, Commissions, and stakeholders across the country. There
3 are numerous examples of programs aimed at meeting the unique needs of low-
4 income customers that could be adapted and implemented by DEP, such as
5 programs for manufactured homes, multifamily housing, tariffed on-bill
6 financing, and adding measure that achieve deeper levels of savings per
7 household, all of which have been the subject of previous testimony and filings
8 submitted by the Justice Center, Housing Coalition, and SACE.

9 One such opportunity is to build on the success of DEC's Income-Qualified
10 Weatherization program in North Carolina by offering the program to DEP's low-
11 income customers as well.

12 Additionally, in 2019, the Collaborative explored opportunities to align the
13 financing timeline for both new construction and existing multifamily properties
14 seeking an allocation of Low Income Housing Tax Credits from the North
15 Carolina Housing Finance Agency with utility program offerings. Incorporating
16 utility incentives at the time of financing is an opportunity to secure deeper
17 whole-building energy savings. Properties going through a financing event have
18 access to private and/or public capital that utility programs can leverage to cover
19 the cost of energy-efficiency upgrades that may otherwise be out of reach for
20 owners and/or too costly for utility programs to incentivize. Utilities across the
21 country have partnered with housing finance agencies to develop and implement
22 energy-efficiency programs that meet the unique needs of the affordable housing
23 sector and deliver energy savings. Stakeholders at the Collaborative are

1 committed to supporting Duke in developing an approach tailored to North
2 Carolina and South Carolina.

3 **Prioritize increasing low income customer impact through non-income**

4 **qualified programs** - While the NES program does not require income
5 qualification for participation, the program is designed to reach low-income
6 customers, which is part of how program performance is tracked. At the January
7 Collaborative meeting, Duke presented a chart showing low-income impact
8 tracking across its portfolio of residential programs. I strongly support this
9 attention and look forward to working with Duke to use data such as this to
10 inform strategies for capturing more impact for low-income customers in all
11 residential programs going forward. That said, standard efficiency programs are
12 not a replacement for dedicated low-income programs that are tailored to meet the
13 specific needs of low-income households and aim to achieve targeted
14 participation levels specifically for these customers.

15 Stakeholders at the Collaborative remain committed to supporting DEP in each of
16 the above areas, while giving attention to achieving levels of cost effectiveness
17 that are appropriate for serving low income customers.

18 **Q. WHAT ARE YOUR EXPECTATIONS REGARDING THE**
19 **COLLABORATIVE IN 2019?**

20 I believe there is an opportunity to strengthen and expand programs, increase
21 portfolio savings, and enhance the value of program and portfolio performance
22 reporting. This in turn could also narrow the range of issues handled through
23 contested dockets before the Commission. The lack of tangible results from the

1 work of the Collaborative in past years has been frustrating. Despite this, the NC
2 Justice Center, the Housing Coalition, SACE, and many others have increased the
3 commitment of our time and resources in the hopes of achieving more tangible
4 results going forward. If successful, I believe more energy and capacity savings
5 will result.

6 If, despite this additional effort, more substantive and tangible outcomes are not
7 achieved, there may be a need for deeper structural changes to the Collaborative
8 that would involve more direction and oversight by the Commission.

9 **Q. WHAT LESSONS CAN BE LEARNED FROM STAKEHOLDER**
10 **GROUPS IN OTHER JURISDICTIONS?**

11 **A.** Some of the different structural approaches used by energy efficiency
12 stakeholder working groups in other jurisdictions are instructive, a theme that Mr.
13 Neme explored in testimony last year. For additional context, I add the following
14 example from Arkansas.

15 The Arkansas Public Service Commission has a significant role in setting the
16 agenda for its stakeholder group, known as Parties Working Collaboratively
17 (“PWC”) and sets specific deliverables and deadlines that the group is required to
18 meet. In recent years, the Arkansas Commission has referred numerous important
19 issues to the group with expectations that they will work together to jointly
20 develop recommendations for consideration and final decision making by the
21 Commission. In recent years, these have included:

- 22 • Setting 3-year utility energy savings targets

- Coordination of gas and electric efficiency programs
- Development of low income programs
- Standard annual reporting protocols, among others.

The work is supported by an independent facilitator selected through a Commission administered RFP. Recommendations are submitted jointly by the PWC following a Commission prescribed deadline. The approach is aimed at building consensus between parties.

By comparison, the North Carolina Utilities Commission has historically referred issues raised in testimony to the Collaborative, but except for DEP submitting testimony indicating that the topics have been discussed, there is no defined mechanism for this information to be reported back to the Commission.

Q. WHAT SPECIFIC REQUESTS DO YOU HAVE OF THE COMMISSION REGARDING THE COLLABORATIVE?

A. Our primary ask is that the Commission observe the work of the Collaborative to determine whether significant additional progress has been made, focusing on tangible impacts resulting from the Collaborative's work. Specifically, the current work tasks of the Collaborative involve:

- Portfolio-level assessment of opportunities and challenges
- Expansion of energy-efficiency and bill savings for low-income customers
- Modification and additions to DEP efficiency programs reflecting direct input from the work of the Collaborative

1 In 2020, I recommend that the Commission seek direct comment from
2 Collaborative participants on whether the Collaborative has sufficiently corrected
3 its course or whether additional changes are needed that would warrant
4 Commission action.

5 As part of the portfolio-level assessment of opportunities and challenges, I
6 suggest the Collaborative address the projected decline of annual savings down to
7 0.72% in annual savings DEP forecasts for 2020, strive to finally reach the 1%
8 energy savings target, then maintain and grow those savings going forward.

9 I recommend that Duke and the Collaborative begin regularly tracking the impact
10 of all efficiency programs on low income customers, including both those that
11 involve income qualifying criteria as well as standard efficiency programs that are
12 available to all customers. By doing so, we may better understand the
13 relationship between these programs and incorporate useful insights into future
14 strategies for increasing savings for the customers most in need of assistance
15 lowering their electric bills.

16 **Q. ARE THERE ANY OTHER ACTIONS THAT YOU RECOMMEND**
17 **WITH REGARD TO THIS DOCKET?**

18 **A.** There is an important and timely opportunity to replicate the success of
19 DEC's Income-Qualified Weatherization program in North Carolina by
20 expanding its deployment to low income customers in DEP's North Carolina
21 territory. Unlike Neighborhood Energy Savers, this program exclusively serves
22 low-income households and includes larger energy saving measures capable of
23 delivering deeper levels of savings – enough to materially impact energy

1 affordability and overall financial wellbeing for participating families. Moreover,
2 recent innovations in delivery of the DEC Income-Qualified Weatherization
3 program could result in even greater impact for DEP. Specifically, the ability to
4 leverage Helping Home Funds has enabled DEC to serve many more homes per
5 year than were being reached previously when the program was matched only
6 with federal funds for low-income efficiency. Moreover, by correlating low-
7 income and high-energy intensity data, customers who were slipping through the
8 cracks of the federal programs are now being served. And funding availability
9 has been expanded for customers in need of both weatherization and HVAC
10 replacement. All of these program features would provide value for low-income
11 customers in DEP territory, with this big advantage: While DEC has been
12 leveraging the Helping Home Fund to fill the financial gap for health, safety, and
13 incidental improvements, those funds are almost entirely depleted. By contrast,
14 DEP has recently increased their Helping Home Funds with \$2.5 million dollars,
15 which would enable the Company to reach large numbers of households with the
16 Income-Qualified Weatherization program for many years. I suggest that the
17 Commission, Duke, and stakeholders explore this opportunity through both the
18 Collaborative and by initiating a formal Commission proceeding.

19 Finally, I suggest initiating a standard annual reporting protocol akin to the one
20 used in Arkansas and incorporating the tools developed by the Lawrence Berkeley
21 National Laboratory.

22 **Q. WHAT ARE THE BENEFITS OF IMPLEMENTING A STANDARD**
23 **ANNUAL REPORTING PROTOCOL?**

1 A. Establishing standard annual reporting protocols for Duke's DSM/EE
2 Recovery Rider filings would provide numerous benefits for intervenors, Staff,
3 the Commission, and the public. While the majority of information needed for
4 such reporting is already prepared by Duke to support its annual filings, much of
5 it can only be acquired through data requests, which means only parties to the
6 proceeding have access to them.

7 Moreover, the information provided by Duke is not organized in a way that is
8 convenient for review and analysis, nor presented in a way that would allow the
9 Commission or the public to efficiently identify topline trends and takeaways.
10 For instance, the Merger Settlement set annual and cumulative savings targets, but
11 DEP does not report on progress towards meeting the target in its Application
12 filings.

13 In short, the current filings and discovery responses are highly voluminous¹⁹ and,
14 while the information is important, it is unnecessarily difficult to access. As a
15 result, the annual information reported by Duke is difficult to use for oversight
16 and regulatory decision-making. It is also of very limited value for public
17 understanding on the economic value of Duke's efficiency investments. Exhibit
18 FBW-2 is the Excel workbook filed by Entergy Arkansas. This document is
19 provided alongside the narrative of its annual efficiency performance filing. Key
20 features of the reports are:

¹⁹ SACE / NCJC recognize the substantial effort committed by DEP staff in production of this information and appreciate the Company's willingness to provide genuinely substantive answers in response to discovery requests.

- 1 • Planned Versus Actuals - Side-by-side comparisons of projected and
- 2 actual program budgets, demand saving, and energy savings
- 3 • Budget breakdowns - indicating expenditures on incentives / direct install
- 4 costs compared to marketing, administration, and EM&V costs
- 5 • Cost / Benefit - TRC and Program Administrator Cost test results (also
- 6 known as the Utility Cost Test), TRC Net Present Value
- 7 • Levelized cost of energy saved
- 8 • Annual % of savings compared to baseline year
- 9 • Historic comparisons on budgets and energy savings.

10 The Lawrence Berkeley National Laboratory has also developed a set of standard
11 annual reporting tools that can be used by adopted by individual jurisdictions,
12 which can be accessed here: [https://emp.lbl.gov/publications/flexible-and-](https://emp.lbl.gov/publications/flexible-and-consistent-reporting)
13 [consistent-reporting](https://emp.lbl.gov/publications/flexible-and-consistent-reporting)

14 V. CONCLUSION

15 Q. DOES THAT CONCLUDE YOUR TESTIMONY?

16 A. Yes.

1 BY MR. NEAL:

2 Q Mr. Bradley-Wright, did you prepare a summary of
3 your testimony for the Commission?

4 A Yes, I did.

5 Q Could you give that now?

6 A Be happy to.

7 (WHEREUPON, the summary of FOREST
8 BRADLEY-WRIGHT is copied into the
9 record as read from the witness
10 stand.)
11
12
13
14
15
16
17
18
19
20
21
22
23
24

**BEFORE THE NORTH CAROLINA UTILITIES COMMISSION
DOCKET NO. E-2, SUB 1206**

SUMMARY OF TESTIMONY OF FOREST BRADLEY-WRIGHT

ON BEHALF OF

**NORTH CAROLINA JUSTICE CENTER,
NORTH CAROLINA HOUSING COALITION, AND
SOUTHERN ALLIANCE FOR CLEAN ENERGY**

1 Thank you for the opportunity to testify before the Commission today regarding
2 DEP's DSM/EE Recovery Rider. My name is Forest Bradley-Wright, I am the Energy
3 Efficiency Director for the Southern Alliance for Clean Energy. In my testimony, I raise
4 four key matters for your attention: portfolio level savings, efficiency for low-income
5 customers, Collaborative enhancements, and standardized annual reporting.

6 There is, in fact, much to celebrate for both DEP and the Commission with regard
7 to the Company's energy-efficiency performance. However, there is room for continued
8 improvement. Unlike its sister company, DEP again fell short in 2018 of the 1% annual
9 energy-savings target established during the Duke-Progress merger, and neither company
10 ultimately met the merger's 7% five-year cumulative target. Despite surpassing their
11 underachieving regional peers, both companies trail national utility leaders by a
12 substantial margin.

13 First, I request that the Company reaffirm its commitment to energy efficiency by
14 working to achieve the 1% annual savings target in 2020 and beyond. I recommend that
15 the Company pursue a strategy to expand long-term savings, thereby diversifying a
16 portfolio that currently relies too heavily on short-term behavioral programs and lighting
17 measures. And I address the continued decline in non-residential savings, noting how

1 commercial and industrial opt outs undercut some of the most inexpensive efficiency
2 opportunities and create a major drag on DEP's overall performance.

3 Second, I recommend that the Company continue to find more ways for its
4 programs to benefit low-income customers and identify several strategies that have been
5 discussed at the Collaborative, including: expanding budget allocations for programs
6 targeting low income customers, refining and expanding Duke's current program
7 offerings, deploying new programs, and prioritizing low-income customer impact
8 through the Company's non-income qualified program offerings. I am encouraged that
9 over the past year, the Company has consistently engaged with the Collaborative on these
10 subjects and is taking steps to improve program offerings. My testimony specifically
11 recommends DEP deploy a program to emulate the success of DEC's Income Qualified
12 Weatherization program.

13 Third, I discuss the work of the Collaborative over the past year, highlighting the
14 critical value it provides in bringing stakeholders together to address a wide range of
15 issues through joint problem solving, though I note that historically there have been few
16 tangible results in the way of program improvements and additional savings achieved that
17 can be attributed to efforts by the Collaborative. I list a variety of recent process changes,
18 which represent significant steps forward and should ultimately lead to more tangible
19 results from the Collaborative in the future. I also identify a number of potential
20 additional improvements, such as DEP engaging stakeholders earlier in the process of
21 making program changes and potentially incorporating independent facilitation. In
22 particular, I believe a higher level engagement, oversight, and direction from this
23 Commission to the Collaborative would yield positive results. One model to consider is

1 from Arkansas, where the Commission sets specific deliverables and timelines for their
2 Collaborative as part of the Commission's formal decision-making process.

3 Finally, my testimony advocates that the Commission establish standard annual
4 reporting protocols for the DSM/EE Recovery Rider. Key performance metrics like
5 percentage annual savings, average measure lifespan, opt-out trends, cost-effectiveness
6 scores, and net customer benefits should all be clearly tracked and reported in this docket
7 for the benefit of both the Commission and the public. Currently, such information is
8 buried in the overall utility filings or requires formal legal intervention and data requests
9 to obtain. Both Entergy Arkansas and the Lawrence Berkeley National Laboratory serve
10 as valuable examples and are included in my testimony.

11 Overall, the Company's portfolio of programs provides significant value for
12 customers. I thank the Commission for its continued support for efficiency and look
13 forward to continuing to work with you, the Company, and the Collaborative as we build
14 on considerable success to date and strive to achieve even more savings in future years.

15 This concludes my summary.

1 MR. NEAL: Mr. Bradley-Wright is available
2 for cross examination.

3 COMMISSIONER BROWN-BLAND: All right. Mr.
4 Page?

5 CROSS EXAMINATION BY MR. PAGE:

6 Q Mr. Bradley-Wright, my name is Robert Page. I
7 represent the Carolina Utility Customers
8 Association, a group of large industrial
9 customers, and I wanted to talk to you briefly
10 about your testimony concerning the commercial
11 and industrial opt-outs. Are you aware of where
12 the opt-out rights in the State of North Carolina
13 come from?

14 A It is by Statute.

15 Q It's by Statute, so I take it then your testimony
16 is not encouraging the Commission to require some
17 form of DSM or EE programs which the industrial
18 customers could not opt-out, because that would
19 violate the Statute.

20 A I don't think that's the intent of my testimony.

21 Q All right. So is the answer to my question yes,
22 you're not advocating that?

23 A Let me attempt to restate or perhaps I could have
24 you restate the specifics of -- of your question.

1 But I believe you were saying --

2 Q All right. All I'm asking is are you asking the
3 Commission to go against the opt-out rights that
4 are provided to industrial customers in the
5 Statute?

6 A I'm not.

7 Q All right. Now, have you done any study of your
8 own to determine whether or not customers who
9 have opted out have, in fact, provided their own
10 DSM/EE programs?

11 A I have not conducted independent research on
12 that, no.

13 MR. PAGE: That's all I have.

14 COMMISSIONER BROWN-BLAND: Ms. Fentress?

15 MS. FENTRESS: No questions.

16 COMMISSIONER BROWN-BLAND: All right. Mr.
17 Neal, any redirect?

18 MR. NEAL: Yes, Commissioner Brown-Bland.

19 REDIRECT EXAMINATION BY MR. NEAL:

20 Q Mr. Bradley-Wright, are you aware of whether or
21 not there are any requirements for opt-out
22 customers to report on the savings that they have
23 achieved from their own efficiency measures?

24 A I do believe that there is an expectation that

1 customers who choose to opt-out are doing so
2 based on energy savings that they have achieved.

3 Q But are you aware of whether or not those are
4 reported to the Company or the Commission?

5 A My understanding is that they are not reported,
6 that's correct.

7 COMMISSIONER BROWN-BLAND: Questions from
8 the Commission? Chair Mitchell?

9 EXAMINATION BY CHAIR MITCHELL:

10 Q Mr. Bradley-Wright, can you help me understand
11 your recommendation regarding the replication or
12 emulation of the Income-Qualified Weatherization
13 program and -- and in that explanation be
14 specific about what you're recommending to this
15 Commission?

16 A I'm happy to. So the recommendation is that Duke
17 Energy Progress deploy a program comparable to
18 the one offered by Duke Energy Carolinas to all
19 of their customers. That is called the
20 Income-Qualified Weatherization program. And
21 this program is designed to capture deeper levels
22 of savings in the households of participating
23 customers than the Neighborhood Energy Saver
24 program is designed to capture.

1 And the opportunity, as I see it,
2 is to deploy a program that would in effect
3 compliment the Neighborhood Energy Saver program
4 that Duke Energy Progress currently offers, which
5 to draw a contrast between the two, you know, one
6 is a mile wide and an inch deep, the Neighborhood
7 Energy Saver program, and the -- the
8 Income-Qualified Weatherization program is a
9 smaller number of customers, but intending to
10 capture much deeper savings. It is a larger
11 investment. It is targeting some of the largest
12 sources of energy use in the house.

13 So my specific recommendation to
14 the Company and to the Commission is to formally
15 consider the creation of a program for Duke
16 Energy Progress customers, so that it would be
17 available across the service territory that is
18 designed to capture these deeper savings.

19 And I make another observation
20 that the success of the program DEC offers has
21 taken a significant step forward over the past
22 year, year and a half. As the deploying
23 mechanism for that has been expanded to target
24 customers in Duke Energy Carolina's territory

1 directly without exclusively going through the
2 local community action agencies, there is an
3 important partnership that exists between the
4 Income-Qualified Weatherization program and the
5 community action network. But in its original
6 design, that basically constrained the number of
7 households that could be served to those that
8 already were being served by the DOE funds and
9 Leahy (spelled phonetically) funds.

10 So there is now an approach that
11 DEC has been successfully implementing wherein
12 customers can be individually identified,
13 particularly those that have a high likelihood of
14 being low income can be marketed to directly, and
15 that can be cross referenced with information
16 related to energy intensity, those customers
17 whose bills are particularly high. They can
18 receive marketing materials about participating.

19 And the one remaining feature that
20 is extremely important and I think exciting as it
21 relates to DEP is that the -- the Duke Energy
22 Carolinas Income-Qualified Weatherization program
23 is only able to spend money on direct efficiency
24 improvement measures. That's the program's

1 design and the constraint that involves has to do
2 with when households have either health and
3 safety or incidental repair needs. So, for
4 instance, if there is a lack of venting, there is
5 limitations on what can be done around air
6 sealing in a home. Or if there is a hole in a
7 roof or, you know, that otherwise would undermine
8 the efficiency performance of the improvement
9 measure, you know, those improvements are needed
10 in order for the project to be successful and
11 there's a cost, but the Income-Qualified
12 Weatherization program cannot directly invest in
13 that. But the Helping Homes Fund, which was
14 created out of a settlement had funded expenses
15 that could include those health and safety and
16 incidental repair projects.

17 And so DEC has been able to
18 directly target customers that are low income and
19 high energy intensity to offer a deeper array of
20 efficiency improvements and to provide the
21 incidental repair and the health and safety
22 improvements that combined make it possible to
23 help those who are in the greatest need and help
24 them to a degree that has a measurable, a

1 significant impact on their utility bill and
2 their household finances. So that's the
3 advantage.

4 The great opportunity is that
5 while DEC has expended their Helping Homes Funds
6 down to as I understand it in the range of maybe
7 a couple of hundred thousand dollars remaining,
8 Duke Energy Progress had \$2.5 million added to
9 their Helping Homes Fund much more recently and
10 most of those funds as I understand it are
11 available. So either those funds are going to be
12 expended away doing similar work, but it's going
13 to be lumping together the health and safety and
14 those efficiency improvements or they will be
15 leveraged where you can use the Income-Qualified
16 program directly for the energy efficiency
17 savings investments and you can in a much more
18 targeted way use the Helping Homes Funds to
19 provide supplemental support on health and safety
20 and incidental repairs, which could make that
21 program operate in this I think very compelling
22 way of being able to target customers and reach
23 all customers, not just those who are served by
24 the federal dollars already and make that program

1 last for a very, very long time and really
2 achieve deep savings.

3 So I -- I would say it -- it is
4 compelling. I think it's timely, because those
5 Helping Home Funds ultimately will be expended
6 and you will lose some opportunity around this
7 leveraging. And I think frankly that it would be
8 too long to wait for the Pay for Performance
9 program which is only in Buncombe County. I
10 think it would be too long to wait for that to
11 run a three-year cycle before considering this,
12 so I'm encouraging the Commission and the Company
13 to consider deploying an income-qualified program
14 for DEP's customers across their entire service
15 territory as a near-term action.

16 Q Thank you for that explanation. That's very
17 helpful. Just one follow-up. Can you tell me
18 what you know about DEC targeted customers that
19 were eligible to participate?

20 A I can speak only at a high level, but from
21 conversations with Duke Energy Carolina's manager
22 in charge of low income programs and
23 conversations with the North Carolina Community
24 Action Association, which has the contract for

1 deploying those programs. The important -- the
2 first distinction is that they do not need to be
3 limited to those households that are already
4 being served with federal funds. So they are
5 able to directly market to customers regardless
6 of whether they've initially come through the
7 Community Action intake process.

8 And again, I can speak only at a
9 very high level, but my understanding is that the
10 Company has data sufficient to be able to
11 identify portions of its population that are
12 likely to qualify for the program and they can
13 certainly identify specific information about
14 high energy intensity. So they are able to look
15 at those two pieces of information together and
16 from that do targeted marketing, as I understand
17 that's mailers. There may be other marketing
18 that goes as well. But they're able to literally
19 communicate directly to the households of
20 customers who would be in the -- the position to
21 be both most likely to qualify. They still would
22 have to apply and qualify. They would be most
23 likely to qualify and they would be most likely
24 to benefit at a very high level, because of their

1 energy intensity.

2 So again, I can speak to it only
3 at a high level, because its capacity and
4 capabilities within the Company. But, again,
5 that's been relayed to me by both the Company and
6 by their contracting organization.

7 Q Thank you very much.

8 A Thank you.

9 COMMISSIONER BROWN-BLAND: Commissioner
10 Clodfelter?

11 EXAMINATION BY COMMISSIONER CLODFELTER:

12 Q Does the -- or do you know, does the Arkansas
13 model include any consideration of grid
14 locational values in designing or marketing DSM
15 and EE programs?

16 A I guess I would just say I do not know. I'm
17 interested in that following your line of
18 question earlier and I'd be happy to explore
19 that. If I find information that is useful, I'd
20 be happy to pass it along.

21 Q Thanks.

22 A Oh actually, I'm sorry. I would just say this.
23 There is a very extensive, it's called the DER
24 Docket. It's Distributed Energy Resources docket

1 that is open in Arkansas that is looking in a
2 highly comprehensive way at the relationship
3 between customer side investments and the
4 implications that it has for grid planning. So
5 you've reminded me that that is a very rich
6 subject that -- that I -- I know is in very
7 active discussion. I believe even just this last
8 week or the week before through recent
9 conversations I've had with staff at Arkansas
10 they've had an extensive meeting with its
11 facilitation and -- and a lot of stakeholders as
12 they sort of map out how they're going to do a
13 series of rule-making related to the subject of
14 distributed energy resources and it definitely
15 does cross over to this.

16 COMMISSIONER CLODFELTER: Would counsel have
17 any objection if the witness through counsel were
18 allowed to provide the docket citation to that open
19 docket in Arkansas?

20 MS. FENTRESS: In Arkansas? No. No, I
21 would not have any objection.

22 COMMISSIONER CLODFELTER: That's all I'm
23 interested in just getting a citation to the docket so
24 I can study it myself.

1 MR. NEAL: Yes. We can provide that --

2 COMMISSIONER CLODFELTER: Thank you.

3 MR. NEAL: -- after the hearing.

4 COMMISSIONER CLODFELTER: Thank you. That's
5 all I have.

6 EXAMINATION BY COMMISSIONER BROWN-BLAND:

7 Q All right. Mr. Bradley-Wright, you indicated in
8 your testimony and in your summary that you were
9 advocating for engaging stakeholders earlier in
10 the process as regards the Collaborative and you
11 heard -- I'm assuming you've read Mr. Evans'
12 rebuttal testimony. You heard what he had to say
13 with the few questions that I asked him on the
14 stand. And we particularly tried to talk around
15 your example with the Pay -- Pay for Performance.
16 Do you have anything to add having heard that or
17 having had a chance to absorb his rebuttal
18 testimony?

19 A I first want to say I think we are generally
20 speaking polling in the same direction here. I
21 think that the Company does look to the
22 Collaborative as a resource for insight and --
23 and in contributions. I think there has been a
24 very concerted effort this year to both recognize

1 some of the limitations of the past, some of the
2 -- the, you know, a considerable amount of work,
3 but little to show for it in terms of specific
4 program changes or additional savings. And a lot
5 of effort has gone in this year to better
6 understand the -- the kind of information that
7 the Company is contemplating when they develop
8 program changes, the processes that they're
9 using, and figuring out when and how that
10 information can begin flowing to the
11 Collaborative at the earliest possible stage.

12 I stand by the -- the critique
13 that I laid out as it relates to that and other
14 programs. I think there have been some
15 significant opportunities missed this past year
16 that would benefit all of us. You know, I -- I
17 don't think they were, as I said, in -- in
18 conflict with the overall approach here. But in
19 that particular instance of the Pay for
20 Performance the concept was surfaced at the
21 September 2018 Collaborative meeting and prior to
22 any real discussion on it, the application was
23 filed to the Commission. By the time the
24 November Collaborative meeting was held, I

1 believe it might even had already gone all the
2 way through and gotten final decision.

3 So that would clearly be an
4 instance where the array of recommendations that
5 were made by Southern Alliance for Clean Energy
6 and the North Carolina Sustainable Energy
7 Association in filing, because there was not a
8 channel created through the Collaborative just
9 were not considered in the development process of
10 that program. And -- and I guess what I think is
11 important to note is that the inclusion of
12 another organization or as the recommendation
13 initially was multiple organizations to assist in
14 delivering that program was not the only
15 recommendation. I just want to make sure that it
16 is understood. We had recommended an expanded
17 geography. We had recommended additional
18 measures. We had recommended that the three-year
19 time frame, while might be appropriate for a
20 rollout and implementation program, to give it
21 the time to be able to -- to achieve success was
22 too long to wait and that there would be reason
23 to be revisiting and -- and bringing in some of
24 these operational changes sooner, and that the

1 150 houses over three years in just one county
2 was simply too limited in scope. So I think that
3 will be an example.

4 The Neighborhood Energy Savers
5 program, Duke came forward with a number of
6 addition -- additional measures that they're
7 contemplating adding in and they did raise the
8 topic at two preceding Collaborative meetings,
9 but without an actual indication of what measures
10 were being considered. By the time that meeting
11 happened between Collaborative meetings, we
12 scheduled a call just to discuss the potential
13 changes. We were, you know, given the list of
14 measures and when we asked when do we need to
15 provide feedback on this, the answer was the next
16 day. That was not practical from any meaningful
17 standpoint for us to -- to be responsive much
18 less to actually be involved in the thoughtful
19 Collaborative discussion process related to it.

20 Now, I want to make very clear
21 this is not intended as, in any way, a rebuke on
22 the measures that are being offered. We think
23 that is indeed a very constructive step that, you
24 know, reflects their own internal thinking and

1 the priority they put on this. That is not what
2 is -- is the concern that I raised.

3 It is that in order for the -- the
4 impact of the Collaborative, the contribution of
5 the Collaborative to be most constructive it
6 needs to happen much earlier in the process. And
7 I think that, again, I don't think we're at odds
8 here, but I think we're still learning how to
9 work together constructively in this context.
10 And, you know, and we are suffering somewhat from
11 a vagueness of protocol, if you will, but
12 there's, you know, there -- there was a template
13 that was mentioned before that Collaborative
14 members would be asked to fill out. It's not
15 like the template is coming to the Collaborative
16 on internally contemplated changes to programs
17 from Duke before it's going to applications.

18 So there -- there's a bit of a --
19 of a double standard there. But ultimately I
20 think that we're at a place where that can now
21 become the kind of tool that -- that we've
22 designed. I think it's just it should not be
23 resting on one party to fill out the template,
24 which includes some things that are fairly basic,

1 but it includes some data analysis that is not
2 possible for Collaborative members to generate
3 like cost benefit scores on specific programs.
4 The analysis needed behind that is, you know, is
5 possible for the Company.

6 So anyway, I think the long and
7 short of it is that we were making steps in the
8 right direction. I think these are examples that
9 are learning examples and, you know, that there
10 is still some way for us to go before and we're
11 taking the common goal that we have and in a
12 functional way truly polling in the same
13 direction and achieving results that we can point
14 to and say that's the contribution of the
15 Collaborative, that was the benefit that came
16 from working together.

17 Q In your year and some months participating in the
18 Collaborative and working with the Company, have
19 you found that the Company is receptive to
20 changes about or changes that relate to
21 Collaborative process? Are they -- do you have
22 someone to engage with and are they open to --
23 have they exhibited openness to hearing from you
24 on these kinds of matters that you've raised in

1 your testimony?

2 A I would say yes and more, which is that I believe
3 that not only has Duke been willing to entertain
4 the suggestions and requests that we've made,
5 they've come with some of their own. That
6 doesn't mean that all of the suggestions have
7 been implemented, but there have been a number of
8 important changes. Some of the most important
9 are actually described as -- as features of the
10 Collaborative in that settlement -- Merger
11 Settlement or maybe it was the Save-a-Watt
12 Settlement, that -- that described the -- the
13 creation of the Collaborative and it talked about
14 the Collaborative developing its own rules. It
15 talked about shared agenda development. And we
16 have been doing that much more this year where we
17 are much more actively engaged in creation of the
18 full agenda for these meetings, and this year at
19 the beginning of the year set priorities what we
20 would work on together as a group. I think that
21 those are critical steps forward.

22 I do continue to note the
23 potential benefit of independent facilitation.
24 That is not something that has been implemented

1 to this point. And, you know, it's not in itself
2 a panacea. It's just a possible tool.

3 So again, broadly speaking, I
4 would say that the -- that the Company has very
5 definitely met us halfway. It has been I think a
6 reason that not only our organization, but quite
7 a number of other stakeholder organizations have
8 seen it worth the investment of time, which is
9 considerable and, you know, that we have
10 optimism. But it's also cautious optimism. We
11 are watching, you know, and working to see the
12 kind of tangible results I referenced earlier.

13 Now, if there are program changes
14 that can be directly attributed to the efforts
15 and the ideas brought forward in the
16 Collaborative, that would be a step forward. If
17 there are additional efficiency savings that are
18 captured directly as a result of the work of the
19 Collaborative, that would be an enormous
20 accomplishment and I think that it right now is
21 probably most important on two subjects.
22 Achieving the 1 percent savings. For Duke Energy
23 Progress, not only did they come up short in each
24 of the past years, they're forecasting a rather

1 substantial decline for 2020, and we think that
2 before those declines become accepted as the norm
3 that considerable effort should go into reaching
4 and attaining those higher levels of savings.

5 And so I see that as one of the
6 most important things that we should be gauging
7 the effectiveness of the Collaborative against
8 and the other would be an expansion of impact for
9 low-income customers. I think there is, again, a
10 strong common understanding that that goal is
11 worthwhile, but there is work to be done and
12 we're -- we're very much there to help.

13 COMMISSIONER BROWN-BLAND: All right. Thank
14 you.

15 Are there questions on the Commission's
16 questions?

17 MS. FENTRESS: I have some.

18 COMMISSIONER BROWN-BLAND: Ms. Fentress?

19 MR. NEAL: Thank you.

20 EXAMINATION BY MS. FENTRESS:

21 Q First of all, thank you so much for discussing
22 Duke Energy's Helping Home Fund. It's a
23 tremendous program and I think we've had some
24 great success with it. But I remember you were

1 discussing it in response to a question from
2 Commissioner Mitchell, and so I've turned to your
3 testimony on page 35, which -- which includes
4 some of that discussion as well.

5 A I'm there.

6 Q Thanks. And just to clarify for the record, the
7 Helping Home Fund that DEC and DEP have, those
8 were not energy efficiency programs that were put
9 to the Commission for approval under R8-68; is
10 that correct?

11 A It is. It's actually what makes them most
12 remarkable. Those are shareholder funded
13 resources that do not have the same limitations,
14 and in that way accordingly can fill in the gaps
15 and really can leverage the impact of the kind of
16 programs that are able to be passed through the
17 -- the Commission.

18 Q And so -- and just to follow up, so the cost of
19 those programs are not paid by ratepayers --

20 A That's correct.

21 Q -- Helping Home Funds?

22 A Yes.

23 Q Thank you.

24 A That's correct.

1 Q You had also mentioned an independent facilitator
2 as one of your recommendations for the
3 Collaborative. Just to -- to be clear, the cost
4 of an independent facilitator such as they were
5 would then be run through the DSM or EE Rider and
6 charged to ratepayers; is that correct?

7 A That would be my expectation and my understanding
8 is, you know, in jurisdictions such as Arkansas
9 that those costs are indeed recovered.

10 Q Thank you. And then you had also indicated that
11 a focus of the Collaborative could be the fact
12 that DEP was coming up short with respect to a
13 savings target that is subject to the
14 jurisdiction of the South Carolina Commission?

15 A I think that it has become identified as a mark
16 both that has a history from the -- the South
17 Carolina Commission, but also is truly a mark of
18 achievement especially for the southeast region,
19 which trails nationally on energy efficiency by
20 quite a lot. And Duke has been the first utility
21 in -- in this, you know, portion, this region,
22 the southeast to reach that 1 percent threshold.
23 And so yes, it's -- it's become somewhat of the
24 -- the benchmark against which, you know, we have

1 gauged.

2 Q But you -- I think you would agree with me that
3 the North Carolina Commission has not imposed
4 that savings target?

5 A My understanding is that the -- the relationship
6 in North Carolina is one that connects to a
7 performance incentive opportunity.

8 Q But not the 1 percent that you've mentioned in
9 your testimony?

10 A Not as a requirement. Not -- again, that came
11 out of the merger settlement in South Carolina.

12 Q Merger -- yes. Thank you.

13 MS. FENTRESS: I have nothing further.

14 COMMISSIONER BROWN-BLAND: Is there anything
15 else on Commission's questions?

16 MR. NEAL: No. No, thank you.

17 COMMISSIONER BROWN-BLAND: All right.

18 MR. NEAL: At this time we would move
19 Mr. Bradley-Wright's exhibits into the record.

20 COMMISSIONER BROWN-BLAND: All right.
21 Without objection, they will be received at this time.

22 (WHEREUPON, FBW-1 and FBW-2
23 Exhibits are received into
24 evidence.)

1 COMMISSIONER BROWN-BLAND: There's no
2 further questions for you, Mr. Bradley-Wright, so you
3 may be excused.

4 THE WITNESS: Thank you.

5 COMMISSIONER BROWN-BLAND: Thank you.

6 (The witness is excused)

7 MS. EDMONDSON: Commissioner Brown-Bland, on
8 August 19th, the Public Staff filed the testimony of
9 Michael C. Maness, 14 pages as well as an Appendix A,
10 two pages, and an Appendix B of three. All parties
11 have agreed to waive cross examination of him and the
12 Commission has excused him. I would move his
13 testimony with the appendices be entered into the
14 record as if given orally from the stand.

15 COMMISSIONER BROWN-BLAND: Without
16 objection, that motion will be allowed.

17 MS. EDMONDSON: Thank you.

18 (WHEREUPON, the prefiled direct
19 testimony and Appendices A and B
20 of MICHAEL C. MANESS is copied
21 into the record as if given orally
22 from the stand.)
23
24

BEFORE THE NORTH CAROLINA UTILITIES COMMISSION

DOCKET NO. E-2, SUB 1206

In the Matter of

Application of Duke Energy Progress,)
LLC, for Approval of Demand-Side)
Management and Energy Efficiency)
Cost Recovery Rider Pursuant to)
N.C.G.S. § 62-133.9 and Commission)
Rule R8-69)

TESTIMONY OF
MICHAEL C. MANESS
Public Staff – North Carolina
Utilities Commission

OFFICIAL COPY

Sep 27 2019

1 **Q. PLEASE STATE YOUR NAME, BUSINESS ADDRESS, AND**
2 **PRESENT POSITION.**

3 A. My name is Michael C. Maness. My business address is 430 North
4 Salisbury Street, Dobbs Building, Raleigh, North Carolina. I am the
5 Director of the Accounting Division of the Public Staff – North
6 Carolina Utilities Commission (Public Staff).

7 **Q. BRIEFLY STATE YOUR QUALIFICATIONS AND DUTIES.**

8 A. A summary of my qualifications and duties is set forth in Appendix
9 B of this testimony.

10 **Q. WHAT IS THE PURPOSE OF YOUR TESTIMONY?**

11 A. The purpose of my testimony is to present my recommendations
12 regarding the Demand-Side Management (DSM) and Energy
13 Efficiency (EE) cost and incentive recovery rider (DSM/EE Rider),¹
14 proposed by Duke Energy Progress, LLC (DEP or the Company), in
15 its Application filed in this docket on June 11, 2019 (Application).
16 The DSM/EE Rider is authorized by N.C. Gen. Stat. § 62-133.9 and
17 implemented pursuant to Commission Rule R8-69.

18 **Q. HOW IS YOUR TESTIMONY ORGANIZED?**

¹ The DSM/EE Rider is comprised of various class-based DSM, EE, DSM Experience Modification Factor (DSM EMF), and Energy Efficiency Experience Modification Factor (EE EMF) billing rates.

1 A. My testimony begins with a review of the regulatory framework for
2 DSM/EE cost recovery by electric utilities and the historical
3 background of DEP's Application in this docket. I then discuss the
4 Company's proposed billing rates and other aspects of its filing.
5 Following a summary of my investigation, I present my conclusions
6 and recommendations regarding the proposed billing rates and the
7 overall DSM/EE Rider.

8 **THE PROCESS FOR SETTING DEP'S**
9 **DSM/EE REVENUE REQUIREMENTS**

10 **Q. PLEASE DESCRIBE THE BASIS FOR THE COMPANY'S FILING.**

11 A. N.C. Gen. Stat. § 62-133.9(d) allows a utility to petition the
12 Commission for approval of an annual rider to recover (1) the
13 reasonable and prudent costs of new DSM and EE measures and
14 (2) other incentives to the utility for adopting and implementing new
15 DSM and EE measures. However, N.C. Gen. Stat. § 62-133.9(f)
16 allows industrial and certain large commercial customers to opt out
17 of participating in the power supplier's DSM/EE programs or paying
18 the DSM/EE rider, if an eligible customer notifies its electric power
19 supplier that it has implemented or will implement, at its own
20 expense, alternative DSM and EE measures. Commission Rule R8-
21 69 sets forth the general parameters and procedures governing
22 approval of the annual rider.

1 In this proceeding, DEP has, for the most part, calculated its
2 proposed DSM/EE Rider (incorporating both prospective and
3 Experience Modification Factor (EMF) DSM and EE billing rates)
4 using the Cost Recovery and Incentive Mechanism for Demand-
5 Side Management and Energy Efficiency Programs (Revised
6 Mechanism) approved by the Commission on January 20, 2015, in
7 its *Order Approving Revised Cost Recovery and Incentive*
8 *Mechanism and Granting Waivers*, in Docket No. E-2, Sub 931
9 (2015 Sub 931 Order), as subsequently amended by the
10 Commission in the Company's 2017 DSM/EE rider proceeding,
11 Docket No. E-2, Sub 1145 (Sub 1145).² The 2017 amendments
12 consisted of certain changes to Paragraphs 18, 22, and 70 of the
13 Revised Mechanism, and the addition of new Paragraphs 22A
14 through 22D and 70A. A copy of the entire Revised Mechanism, as
15 amended, was attached to my testimony in Docket No. E-2, Sub
16 1174, as Maness Exhibit I.

² Certain billing factor components consisting of costs incurred or incentives earned prior to January 1, 2016, but being carried forward to or amortized as part of the billing factors proposed in this proceeding, were determined pursuant to the Cost Recovery and Incentive Mechanism for Demand-Side Management and Energy Efficiency Programs (Initial Mechanism) approved by the Commission on June 15, 2009, in its *Order Approving Agreement and Stipulation of Partial Settlement, Subject to Certain Commission-Required Modifications*, in Docket No. E-2, Sub 931, as modified by the Commission's November 25, 2009, *Order Granting Motions for Reconsideration in Part*, in the same docket.

- 1 **Q. PLEASE DESCRIBE THE REVISED MECHANISM (INCLUDING**
2 **THE 2017 CHANGES) AND ITS MAJOR COMPONENTS.**
- 3 A. The overall purpose of the Revised Mechanism, as amended, is to
4 (1) allow DEP to recover all reasonable and prudent costs incurred
5 for adopting and implementing new DSM and new EE measures;
6 (2) establish the terms, conditions, and methodology for the
7 recovery of certain utility incentives – Net Lost Revenues (NLR)
8 and a Portfolio Performance Incentive (PPI) - to reward DEP for
9 adopting and implementing DSM and EE measures and programs;
10 (3) provide for an additional incentive to further encourage kilowatt-
11 hour (kWh) savings achievements; and (4) establish certain
12 requirements and guidelines to guide requests by DEP for approval,
13 monitoring, and management of DSM and EE programs. The
14 Revised Mechanism includes many provisions that indirectly
15 influence the ratemaking process for DSM and EE costs and
16 incentives, including provisions that address program approval,
17 management, and modification; evaluation, measurement, and
18 verification (EM&V) of program results; operation of a Stakeholder
19 Collaborative; procedural matters and the general structure of the
20 DSM/EE billing rates; allocation methodologies; reporting
21 requirements; and provisions for the term and future review of the
22 Revised Mechanism itself, as well as provisions directly affecting
23 the calculation of the DSM/EE and DSM/EE EMF riders. A

1 summary of these provisions is set forth in Appendix A of this
2 testimony.

3 **THE COMPANY'S PROPOSED BILLING RATES**

4 **Q. PLEASE DESCRIBE THE BILLING FACTORS, VINTAGE**
5 **YEARS, RATE PERIOD, AND TEST PERIOD BEING**
6 **CONSIDERED IN THIS PROCEEDING.**

7 A. In its Application in this proceeding, DEP requested approval of
8 prospective and EMF DSM and EE billing rates that would result in
9 annual North Carolina retail revenue of approximately \$177.1
10 million [including a revenue adder for the North Carolina Regulatory
11 Fee (regulatory fee)]. DEP's request would be a decrease of
12 approximately \$9.9 million from the annual revenues that would be
13 produced by the rates currently in effect. These proposed billing
14 factors are set forth on DEP witness Miller's Exhibit 1. The factors
15 (rates), as applicable to each class, are proposed by the Company
16 to be charged to all participating North Carolina retail customers
17 [i.e., those who have not opted out pursuant to N.C. Gen. Stat. §
18 62-133.9(f)] served during the rate period.

19 The rate period for this proceeding is the twelve-month period from
20 January 1, 2020, through December 31, 2020. This is the period
21 over which the prospective DSM and EE billing rates and the DSM
22 and EE EMF billing rates determined in this proceeding will be

1 charged. It is also the period for which the estimated revenue
2 requirements to be recovered through the prospective DSM/EE
3 rates are determined.

4 The test period applicable to this proceeding is the twelve-month
5 period ended December 31, 2018. This is the presumptive period
6 for which the under- or overrecovery of DSM/EE revenue
7 requirements is measured for purposes of determining the DSM
8 and EE EMF billing rates. Actual program costs considered for true-
9 up in this proceeding are either costs actually incurred during the
10 test period, or amortizations, depreciation, and/or return associated
11 with costs incurred in prior test periods.

12 NLR and PPI reflected in the EMF revenue requirements being set
13 in this proceeding are associated with Vintage Years 2016, 2017,
14 and 2018, as well as amortizations of amounts related to prior
15 years and set in prior proceedings.

16 **Q. WHAT ARE SOME OF THE GENERAL CHARACTERISTICS OF**
17 **DEP'S PROPOSED DSM/EE BILLING FACTORS?**

18 A. The prospective DSM and EE billing rates incorporate several cost
19 recovery elements as estimated for the rate period, including
20 amortizations of operations and maintenance and administrative
21 and general (A&G) costs, capital costs of the Demand Side

1 Distribution Response program (DSDR), carrying costs (return on
2 deferred costs), NLR, and levelized PPI incentives. The test period
3 true-up DSM and EE EMF billing rates contain test period actual
4 amounts of the same types of costs and incentives as do the
5 prospective rates. The DSM and EE EMF billing rates also include
6 adjustments to the 2016 and 2017 NLR and PPI, a reduction for the
7 DSM/EE billing rate amounts billed during the test period, and
8 interest on overcollections and undercollections.

9 NLR amounts included in the DSM and EE billing rates have also
10 been affected by the Company's recently concluded general rate
11 case (Docket No. E-2, Sub 1142). The revenue requirement filed by
12 the Company in that case took into account DEP's total net revenue
13 losses through December 31, 2016, and further residential losses
14 through October 31, 2017. The effective date of the rates set in the
15 case was March 16, 2018. Therefore, NLR being requested in this
16 proceeding exclude, effective March 16, 2018, any net revenue
17 losses due to DSM/EE measures installed or implemented on or
18 prior to December 31, 2016, for all customers, and on or prior to
19 October 31, 2017, for residential customers.

20 **Q. WILL THERE BE FUTURE TRUE-UPS OF THE DSM/EE**
21 **REVENUE REQUIREMENTS?**

1 A. The finalization of the true-ups of NLR and PPI sometimes tends to
2 lag behind the true-ups of program costs and A&G expenses
3 subject to amortization. This feature of the true-up process is due to
4 the fact that while cost amounts are typically known and
5 determinable very soon after they are incurred, it can take several
6 months to complete the applicable EM&V process and to refine and
7 adjust the cost savings results for a given vintage year so that the
8 final actual incentives payable to the utility can be determined.
9 Therefore, while the cost amounts to be trued up as part of the test
10 period DSM/EE EMF revenue requirement in a given annual
11 proceeding typically correspond very closely to the actual costs
12 incurred during the test period, the test period revenue requirement
13 often contains incentives related to more than one vintage year.
14 Additionally, certain components of the revenue requirements
15 related to prior years will remain subject to prospective update
16 adjustments and retrospective true-ups in the future, as
17 participation and EM&V analyses are finalized, reviewed, and
18 perhaps refined.

19 **INVESTIGATION AND CONCLUSIONS**

20 **Q. PLEASE DESCRIBE YOUR INVESTIGATION OF DEP'S FILING.**

21 A. My investigation of DEP's filing in this proceeding focused on
22 determining whether the proposed DSM/EE Rider (a) was

1 calculated in accordance with the Initial or Revised Mechanisms, as
2 applicable, and (b) otherwise adhered to sound ratemaking
3 concepts and principles. The procedures I and other members of
4 the Public Staff's Accounting Division acting under my supervision
5 utilized included a review of the Company's filing, relevant prior
6 Commission proceedings and orders, and workpapers and source
7 documentation used by the Company to develop the proposed
8 billing rates. Performing the investigation required the review of
9 responses to written and verbal data requests, as well as
10 discussions with Company personnel. As part of its investigation,
11 the Accounting Division performed a review of the actual DSM/EE
12 program costs incurred by DEP during the 12-month period ended
13 December 31, 2018. To accomplish this, the Accounting Division
14 selected and reviewed samples of source documentation for test
15 year costs included by the Company for recovery through the
16 DSM/EE Rider. Review of this sample, which is still underway as of
17 the date of pre-filing of this testimony, is intended to test whether
18 the actual costs included by the Company in the DSM and EE
19 billing rates are either valid costs of approved DSM and EE
20 programs or administrative costs supporting those programs.

21 My investigation, including the sampling of source documentation,
22 concentrated primarily on costs and incentives related to the

1 January through December 2018 test period, which will begin to be
2 trued up through the DSM and EE EMF billing rates approved in
3 this proceeding. The Public Staff also performed a more general
4 review of the prospective billing rates proposed to be charged for
5 Vintage Year 2020, which are subject to true-up in future
6 proceedings.

7 **Q. WHAT ARE YOUR FINDINGS AND CONCLUSIONS?**

8 A. Based on my review, with the exception of an item specifically
9 described later in this testimony, I am of the opinion that the
10 Company has calculated its proposed DSM, EE, DSM EMF, and EE
11 EMF billing rates in a manner consistent with N.C. Gen. Stat. § 62-
12 133.9, Commission Rule R8-69, the Initial Mechanism, and the
13 Revised Mechanism, as amended. However, this conclusion is
14 subject to the caveat that the Public Staff is still in the process of
15 reviewing certain data responses received from the Company in the
16 last few days, including documentation of costs selected for review
17 in the Public Staff's sample; should this review result in any further
18 issues, the Public Staff will file additional information with the
19 Commission.

20 I would like to note the following regarding the Public Staff's
21 investigation:

- 1 (1) Depreciation of Assets Associated with the DSDR Program –
2 The Company has informed the Public Staff that in the
3 course of responding to one of the Public Staff's data
4 requests, it discovered that the depreciation expense
5 amounts included in its DSM/EE rate calculations for certain
6 DSDR capitalized assets have been overstated, due to the
7 assets being depreciated beyond the end of their estimated
8 useful lives. However, as of the date of my testimony, the
9 Company has not been able to finish its quantification of this
10 miscalculation and revise its rate calculations accordingly.
11 The Public Staff and the Company have discussed this
12 matter, and it is the Public Staff's understanding that the
13 Company plans to file revisions to its DSM/EE billing factor
14 calculations on or before the date of the hearing scheduled
15 in this proceeding.
- 16 (2) EM&V Adjustment – During the course of the Public Staff's
17 investigation, the Company notified the Public Staff that it
18 had found an EM&V-related change that needed to be made
19 to its billing factor calculations. Again, based on discussions
20 with the Company, it is the Public Staff's understanding that
21 the Company plans to file revisions to its DSM/EE billing
22 factor calculations on or before the date of the hearing
23 scheduled in this proceeding.

1 **Q. DO YOU PLAN TO PRESENT TO THE COMMISSION THE**
2 **OVERALL EFFECT OF THE COMPANY'S REVISIONS?**

3 A. Yes. Once the Company has filed its revised calculations and billing
4 factors, the Public Staff will review them, and file with the
5 Commission its conclusions and recommendations regarding both
6 the revisions and the revised billing factors.

7 **Q. WHAT IS THE IMPACT OF RECOMMENDATIONS MADE BY**
8 **PUBLIC STAFF WITNESS WILLIAMSON IN HIS TESTIMONY ON**
9 **YOUR CONCLUSIONS REGARDING THE DSM/EE REVENUE**
10 **REQUIREMENTS IN THIS PROCEEDING?**

11 A. Public Staff witness Williamson has filed testimony in this
12 proceeding discussing several topics and issues related to the
13 Company's filing. None of these topics and issues necessitates an
14 adjustment in this particular proceeding to the Company's billing
15 factor calculations.

16 **Q. PLEASE SUMMARIZE YOUR CONCLUSIONS REGARDING**
17 **DEP'S BILLING RATES.**

18 A. In summary, other than the issues identified above, the Public Staff
19 has found no errors or other issues necessitating an adjustment to
20 DEP's proposed billing rates.

21 **Q. DO YOU HAVE ANY OTHER COMMENTS?**

1 A. Yes. I note that in the calculation of the DSM and EE billing factors
2 including the regulatory fee, the Company utilized a regulatory fee
3 rate of 0.14%, which was revised by the North Carolina General
4 Assembly, effective July 1, 2019, to 0.13%. However, replacing the
5 old rate with the revised rate in the calculation does not change the
6 with-fee billing factors from those that the Company filed.

7 **RECOMMENDATION**

8 **Q. WHAT IS YOUR RECOMMENDATION IN THIS PROCEEDING?**

9 A. Based on the results of the Public Staff's investigation (subject to
10 completion of its review of 2018 program costs and further review
11 of Company-provided information), I recommend that the Company
12 file supplemental testimony and revised exhibits explaining and
13 setting forth both the adjustments to the DSM/EE revenue
14 requirement identified earlier in my testimony and the calculation of
15 the revised proposed billing factors. As noted previously, the Public
16 Staff will then make a supplemental filing addressing the
17 Company's adjustments and revised rates.

18 The billing rates ultimately found reasonable and appropriate by the
19 Commission should be approved subject to any true-ups in future
20 cost recovery proceedings consistent with the Initial Mechanism
21 and the Revised Mechanism, as amended, as well as other
22 relevant orders of the Commission.

1 In making its recommendation, the Public Staff notes that reviewing
2 the calculation of the DSM/EE rider is a process that involves
3 reviewing numerous assumptions, inputs, and calculations, and its
4 recommendation with regard to this proposed rider is not intended
5 to indicate that the Public Staff will not raise questions in future
6 proceedings regarding the same or similar assumptions, inputs,
7 and calculations.

8 **Q. DOES THIS CONCLUDE YOUR TESTIMONY?**

9 **A.** Yes, it does.

SUMMARY OF CERTAIN PORTIONS OF DEP'S DSM/EE MECHANISM

1. Eligible non-residential customers may opt out of either or both of the DSM and EE categories of programs, as well as opt back into either or both. Beginning on January 1, 2016, separate DSM and EE billing rates became available to Non-Residential opt-out-eligible customers. A customer receiving program incentives from either a DSM or an EE program will be required to pay the respective portion(s) of the DSM/EE and DSM/EE EMF billing rates for a period of not less than 36 months.
2. In general, DEP shall be allowed to recover, through the DSM/EE and DSM/EE EMF rates, all reasonable and prudent costs of Commission-approved DSM/EE programs. However, any of the Stipulating Parties may propose a procedure for the deferral and amortization over a maximum of ten years of all or a portion of DEP's non-capital program costs to the extent those costs are intended to produce future benefits, and may propose to defer and amortize related non-incremental administrative and general (A&G) costs over a maximum of three years. Deferred program and A&G costs shall be allowed to accrue a return at the overall weighted average net-of-tax rate of return approved in DEP's most recent general rate case (net of income taxes). For program costs not deferred for amortization in future DSM/EE riders, the accrual of a return on any under-recoveries or over-recoveries of cost will follow the requirements of Commission Rule R8-69(b), subparagraphs (3) and (6), unless the Commission determines otherwise.
3. DEP shall be allowed to recover NLR as an incentive (with the exception of those amounts related to research and development or the promotion of general awareness and education of EE and DSM activities), but shall be limited for each measurement unit installed in a given vintage year to those dollar amounts resulting from kWh sales reductions experienced during the first 36 months after the installation of the measurement unit. NLR related to pilot programs are subject to additional qualifying criteria.
4. The eligibility of kWh sales reductions to generate recoverable NLR during the applicable 36-month period will cease upon the implementation of a Commission-approved alternative recovery mechanism that accounts for NLR, or new rates approved by the Commission in a general rate case or comparable proceeding that account for NLR.
5. NLR will be reduced by net found revenues, as defined in the Revised Mechanism, occurring in the same 36-month period. Net found revenues will be determined according to the "Decision Tree" process included in the Revised Mechanism.

**APPENDIX A
PAGE 2 OF 2**

6. DEP shall be allowed to recover a PPI per vintage year for its DSM and EE portfolio based on a sharing of actually achieved and verified energy and peak demand savings (excluding those related to general programs and measures and research and development activities). The inclusion of pilot programs in any PPI calculation is subject to additional qualifying criteria. Unless the Commission determines otherwise in an annual DSM/EE rider proceeding, the amount of the pre-income-tax PPI to be recovered for the entire allowable DSM/EE portfolio for a vintage year shall be equal to 11.75% multiplied by the present value of the estimated net dollar savings associated with the DSM/EE portfolio installed in that vintage year (as determined by the UCT). Low-income programs or other programs approved with expected UCT results less than 1.00 shall not be included in the portfolio for purposes of the PPI calculation; nor shall the Demand Side Distribution Response (DSDR) program. The PPI for each vintage year shall ultimately be trued up based on net dollar savings as verified by the EM&V process and approved by the Commission. Unless the Commission determines otherwise, the PPI shall be converted into a stream of no more than ten levelized annual payments, incorporating the overall weighted average net-of-tax rate of return approved in DEP's most recent general rate case as the appropriate discount rate.
7. For Vintage Years 2019 and afterwards, the program-specific per kilowatt (kW) avoided capacity benefits and per kWh avoided energy benefits used for the initial estimate of the PPI and any PPI true-up will be derived from the underlying resource plan, production cost model, and cost inputs that generated the avoided capacity and avoided energy credits reflected in the most recent Commission-approved Biennial Determination of Avoided Cost Rates as of December 31 of the year immediately preceding the date of the annual DSM/EE rider filing, but using, for program-specific avoided energy benefits, the projected EE portfolio hourly shape rather than an assumed 24x7 100 megawatt (MW) reduction.
8. If the Company achieves incremental energy savings of 1% of its prior year's system retail electricity sales in any year during the five-year 2015-2019 period, the Company will receive a bonus incentive of \$400,000 for that year.

QUALIFICATIONS AND EXPERIENCE

MICHAEL C. MANESS

I am a graduate of the University of North Carolina at Chapel Hill with a Bachelor of Science degree in Business Administration with Accounting. I am a Certified Public Accountant and a member of both the North Carolina Association of Certified Public Accountants and the American Institute of Certified Public Accountants.

As Director of the Accounting Division of the Public Staff, I am responsible for the performance, supervision, and management of the following activities: (1) the examination and analysis of testimony, exhibits, books and records, and other data presented by utilities and other parties under the jurisdiction of the Commission or involved in Commission proceedings; and (2) the preparation and presentation to the Commission of testimony, exhibits, and other documents in those proceedings. I have been employed by the Public Staff since July 12, 1982.

Since joining the Public Staff, I have filed testimony or affidavits in a number of general, fuel, and demand-side management/energy efficiency rate cases of the utilities currently organized as Duke Energy Carolinas, LLC, Duke Energy Progress, LLC., and Virginia Electric and Power Company (Dominion Energy North Carolina) as well as in several water and sewer general rate cases.

**APPENDIX B
PAGE 2 OF 3**

I have also filed testimony or affidavits in other proceedings, including applications for certificates of public convenience and necessity for the construction of generating facilities, applications for approval of self-generation deferral rates, applications for approval of cost and incentive recovery mechanisms for electric utility demand-side management and energy efficiency (DSM/EE) efforts, and applications for approval of cost and incentive recovery pursuant to those mechanisms.

I have also been involved in several other matters that have come before this Commission, including the investigation undertaken by the Public Staff into the operations of the Brunswick Nuclear Plant as part of the 1993 Carolina Power & Light Company fuel rate case (Docket No. E-2, Sub 644), the Public Staff's investigation of Duke Power's relationship with its affiliates (Docket No. E-7, Sub 557), and several applications for business combinations involving electric utilities regulated by this Commission. Additionally, I was responsible for performing an examination of Carolina Power & Light Company's accounting for the cost of Harris Unit 1 in conjunction with the prudence audit performed by the Public Staff and its consultants in 1986 and 1987.

I have had supervisory or management responsibility over the Electric Section of the Accounting Division since 1986, and also was assigned

**APPENDIX B
PAGE 3 OF 3**

management duties over the Water Section of the Accounting Division during the 2009-2012 time frame. I was promoted to Director of the Accounting Division in late December 2016.

OFFICIAL COPY**Sep 27 2019**

1 (19 pages)

2 MS. EDMONDSON: And the Public Staff now
3 calls David Williamson to the stand.

4 DAVID WILLIAMSON;
5 having been duly sworn,
6 testified as follows:

7 DIRECT EXAMINATION BY MS. EDMONDSON:

8 Q Good afternoon, Mr. Williamson. Would you please
9 state your name and business position for the
10 record?

11 A My name is David Williamson and I'm an Engineer
12 with the Public Staff's Electric Division.

13 Q Mr. Williamson, on August 19th did you prepare
14 and cause to be filed testimony consisting of 22
15 pages, an appendix, and two exhibits?

16 A I did.

17 Q Do you have any changes or corrections to your
18 testimony, appendix, or exhibits?

19 A I do not.

20 Q If you were asked the same questions today would
21 your answers be the same?

22 A They would be.

23 MS. EDMONDSON: Chair Brown-Bland, we
24 request that Mr. Williamson's testimony be admitted

1 into evidence as if given orally from the witness
2 stand and his exhibits be marked.

3 COMMISSIONER BROWN-BLAND: Without
4 objection, that motion will be allowed and the
5 exhibits that were prefiled with his direct testimony
6 will be identified as they were filed when -- or as
7 they were marked when filed.

8 (WHEREUPON, Williamson Exhibits 1
9 and 2 are marked for
10 identification as prefiled.)

11 (WHEREUPON, the prefiled direct
12 testimony and Appendix A of DAVID
13 M. WILLIAMSON is copied into the
14 record as if given orally from the
15 stand.)
16
17
18
19
20
21
22
23
24

BEFORE THE NORTH CAROLINA UTILITIES COMMISSION

DOCKET NO. E-2, SUB 1206

In the Matter of)	TESTIMONY OF
Application of Duke Energy Progress,)	DAVID M. WILLIAMSON
LLC, for Approval of Demand-Side)	PUBLIC STAFF –
Management and Energy Efficiency)	NORTH CAROLINA
Cost Recovery Rider Pursuant to)	UTILITIES COMMISSION
N.C.G.S. § 62-133.9 and Commission)	
Rule R8-69)	

OFFICIAL COPY

Sep 27 2019

1 **Q. PLEASE STATE YOUR NAME, BUSINESS ADDRESS, AND**
2 **PRESENT POSITION.**

3 A. My name is David M. Williamson. My business address is 430 North
4 Salisbury Street, Dobbs Building, Raleigh, North Carolina. I am a
5 Utilities Engineer with the Electric Division of the Public Staff, North
6 Carolina Utilities Commission.

7 **Q. BRIEFLY STATE YOUR QUALIFICATIONS AND DUTIES.**

8 A. My qualifications and duties are included in Appendix A.

9 **Q. WHAT IS THE PURPOSE OF YOUR TESTIMONY?**

10 A. The purpose of my testimony is to present the Public Staff's analysis
11 and recommendations with respect to the following aspects of the
12 February 26, 2019, application of Duke Energy Progress, LLC (DEP
13 or the Company), for approval of its demand-side management
14 (DSM) and energy efficiency (EE) cost recovery rider for 2020 (2020
15 Rider). This testimony discusses: (1) the portfolio of DSM and EE
16 programs included in the proposed 2020 Rider; (2) the ongoing cost-
17 effectiveness of each DSM and EE program; and (3) the evaluation,
18 measurement, and verification (EM&V) studies filed as Exhibits A
19 through I to the testimony of Company witness Robert P. Evans.

20 **Q. WHAT DOCUMENTS HAVE YOU REVIEWED IN YOUR**
21 **INVESTIGATION OF DEP'S PROPOSED 2020 RIDER?**

1 A. I reviewed the application and supporting testimony and exhibits, as
2 well as DEP's responses to Public Staff data requests. In addition, I
3 reviewed previous Commission orders related to DEP's DSM and EE
4 programs and cost recovery rider proceedings, including the
5 Commission's *Order Approving DSM/EE Rider, Revising DSM/EE*
6 *Mechanism, and Requiring Filing of Proposed Customer Notice*
7 issued November 27, 2017, in Docket No. E-2, Sub 1145 (Sub 1145
8 Order), that approved revisions to the Mechanism approved in
9 Docket No. E-2, Sub 931 (Revised Mechanism).

10 **Q. DO YOU HAVE ANY EXHIBITS?**

11 A. Yes. I have two exhibits to my testimony. Williamson Exhibit No. 1
12 shows the changes in the year ahead projected cost-effectiveness of
13 the Company's portfolio of programs as calculated by the Company
14 in its 2017, 2018, and current DSM/EE rider proceedings. Williamson
15 Exhibit No. 2 shows the actual Total Resource Cost (TRC) test
16 scores for the programs across Vintage Years 2016, 2017, and 2018.

17 **DSM and EE Programs in DEP's 2020 Rider Rates**

18 **Q. PLEASE IDENTIFY THE DSM AND EE PROGRAMS FOR WHICH**
19 **DEP IS SEEKING COST RECOVERY THROUGH THE 2020**
20 **RIDER.**

1 A. In its proposed 2020 Rider, DEP included the costs and incentives
2 associated with the following programs:

3 • Residential

- 4 ○ Appliance Recycling Program (Sub 970)
- 5 ○ EE Education Program (Sub 1060)
- 6 ○ Multi-Family EE Program (Sub 1059)
- 7 ○ My Home Energy Report (MyHER) Program (formerly
- 8 the EE Benchmarking Program) (Sub 989)
- 9 ○ Neighborhood Energy Saver (Low Income) Program
- 10 (Sub 952)
- 11 ○ Residential Smart \$aver EE Program (formerly HEIP)
- 12 (Sub 936)
- 13 ○ New Construction Program (Sub 1021)
- 14 ○ Load Control Program (EnergyWise Home) (Sub 927)
- 15 ○ Save Energy and Water Kit Program (Sub 1085)
- 16 ○ Energy Assessment Program (Sub 1094)
- 17 ○ Low-Income Weatherization Pay for Performance
- 18 Program (Pilot implemented in January of 2019)

19 • Non-Residential

- 20 ○ Non-Residential Smart \$aver Energy Efficient Products
- 21 and Assessment Program (formerly Energy Efficiency for
- 22 Business Program) (Sub 938)

- Non-Residential Smart \$aver Performance Incentive Program (Sub 1126)
- Small Business Energy Saver Program (Sub 1022)
- CIG Demand Response Automation (CIG DRA) Program (Sub 953)
- EnergyWise for Business (Sub 1086)
- Combined Residential and Non-Residential
 - Energy Efficient Lighting Program (EE Lighting) (Sub 970)
 - Distribution System Demand Response (DSDR) Program (Sub 926)

Each of these programs has previously received Commission approval as a new DSM or EE program and is eligible for cost recovery under N.C. Gen. Stat. § 62-133.9, subject to certain program-specific conditions imposed by the Commission regarding the recovery of net lost revenues (NLR) and portfolio performance incentives (PPI).

17 Program Performance

18 Q. PLEASE DISCUSS THE PERFORMANCE OF THE PORTFOLIO.

19 A. While the testimony and exhibits of DEP witness Evans provide
20 information regarding the performance of each program in DEP's

1 portfolio, I want to bring certain information to the Commission's
2 attention regarding the performance of particular programs, as well
3 as the performance of DEP's overall portfolio. The portfolio of
4 programs seems generally to be performing satisfactorily. However,
5 the impact of the federal rules imposing minimum requirements on
6 the production of lighting-related measures, and the North Carolina
7 market in which these measures are being offered, merit further
8 discussion. I also discuss the performance of certain programs that
9 are struggling to remain cost-effective, as well as comment on the
10 Company's DSDR program.

11 **Q. PLEASE DISCUSS YOUR OBSERVATIONS CONCERNING**
12 **LIGHTING-RELATED MEASURES.**

13 A. Over the years and in various dockets before the Commission, the
14 Public Staff has highlighted several trends surrounding the adoption
15 of EE lighting measures, i.e., that the EE lighting market for North
16 Carolina is being transformed so that non-specialty light emitting
17 diode (LED) lighting will likely become the baseline standard for
18 general service bulb technologies by January 2020, thereby
19 decreasing the overall amount of savings from any EE program that
20 continues to include general service bulb technologies.

21 On January 19, 2017, the U.S. Department of Energy (DOE)
22 published final rules adopting a revised definition for the general

1 service lamp (GSL) and general service incandescent lamp (GSIL),
2 among other modifications to other definitions, which are to become
3 effective January 1, 2020.¹ These updates are from a DOE
4 rulemaking to implement the second phase of the 2007 Energy
5 Independence and Security Act (EISA) currently scheduled to go into
6 effect on January 1, 2020, otherwise known as EISA 2020.

7 However, on February 11, 2019, DOE issued a notice of proposed
8 rulemaking and request for comment that could result in withdrawal
9 of the current definitions of GSL and GSIL.² As a result of this filing,
10 further rulemaking may occur, but until such time, the current rules
11 guide the path going forward.

12 The extent to which market transformation has occurred is difficult to
13 determine because the metrics associated with market
14 transformation are subjective. However, one of the goals of utility-
15 sponsored EE programs is to build customer awareness of, and
16 confidence in, EE technologies, and, as a result, encourage
17 consumers to adopt EE even without incentives. As technologies
18 become even more energy efficient, costs decrease, and consumer

¹ Energy Conservation Program: Conservation Standards for General Service Lamps, 82 Fed. Reg. 7276-7322 (January 19, 2017).

² Energy Conservation Program: Conservation Standards for General Service Lamps, 84 Fed. Reg. 3120-3131 (February 2, 2019), <https://www.federalregister.gov/documents/2019/02/11/2019-01853/energy-conservation-program-energy-conservation-standards-for-general-service-lamps>

1 acceptance improves, adoption of EE should become more routine,
2 at which point there is “market transformation.”

3 **Q. DO YOU BELIEVE THAT NORTH CAROLINA’S LIGHTING**
4 **MARKET HAS TRANSFORMED OR IS ON THE VERGE OF**
5 **TRANSFORMING?**

6 A. Yes. I have reviewed the Company’s EE Lighting EM&V report on its
7 lighting program, which was (1) accepted in the 2018 DEP Rider
8 Proceeding³ and (2) reviewed in combination with Duke Energy
9 Carolinas, LLC’s Retail LED Lighting Program. Since the Company
10 began distributing lighting measures to its customers through
11 DSM/EE programs, the acceptance of more efficient lighting
12 measures has been increasing. When the Company began issuing
13 lighting measures, the compact fluorescent lamp (CFL) bulb was the
14 primary offering. As LEDs became more affordable to both the
15 utilities and the customers who received them via discount or free
16 incentives, the market slowly began migrating even further toward
17 adopting the LED as the “go to” bulb.

18 **Q. WITH THE NEW EISA 2020 STANDARD ESSENTIALLY MAKING**
19 **NON-SPECIALTY LED BULBS THE STANDARD, DOES THE**
20 **COMPANY STILL OFFER NON-SPECIALTY LED BULBS IN ITS**
21 **PORTFOLIO?**

³ Docket No. E-2, Sub 1174

1 A. Yes, however, the Company has been working to minimize the
2 impacts of EISA 2020, and as such, has been updating its lighting
3 measure offerings to those focused on specialty LED bulbs. The
4 number of non-specialty LED bulbs as a percentage of measure
5 offerings for each program has been greatly reduced since the last
6 rider proceeding.

7 **Q. HOW MUCH LONGER SHOULD NON-SPECIALTY LED BULBS**
8 **BE IN THE COMPANY'S RESIDENTIAL PORTFOLIO?**

9 A. Regardless of whether the EISA 2020 standard takes effect as
10 scheduled or is rolled back, and taking into consideration the
11 Company's efforts to migrate primarily to specialty LED bulbs, it
12 appears that the North Carolina lighting market is adopting EE
13 lighting technologies as the baseline. Therefore, an incentive for non-
14 specialty LED bulbs should no longer be needed after Vintage 2020.

15 Allowing the incentives to be offered for at least one year beyond the
16 January 2020 date should allow the Company time to evaluate any
17 changes in the federal standards, as well as to determine how to
18 handle its current stock of non-specialty LED bulbs.

19 **Q. ARE THERE PROGRAMS THAT ARE STRUGGLING TO BE OR**
20 **REMAIN COST-EFFECTIVE?**

21 A. Yes. As seen in Williamson Exhibit 1, the Residential Smart Saver
22 EE, Neighborhood Energy Saver, Non-Residential Smart Saver

1 Performance Incentive, and EnergyWise for Business programs are
2 not projected to be cost-effective under the TRC test.

3 The Residential Smart Saver EE program was recently granted
4 approval to make modifications to increase its cost-effectiveness.
5 This program's projected cost-effectiveness has greatly increased,
6 but it remains not cost-effective, as it has been since 2013, when the
7 Company was projecting the programs cost effectiveness for Vintage
8 Year 2014. Notwithstanding the Company's efforts to attain cost-
9 effectiveness for this program, the Public Staff continues to be
10 skeptical that it can be cost-effective.

11 **Q. PLEASE DISCUSS THE COMPANY'S DSDR PROGRAM.**

12 A. While I do not have any concerns with the performance of the
13 program, I would like to bring to the Commission's attention certain
14 aspects of the program.

15 The DSDR program was approved as an EE program by this
16 Commission on June 15, 2009, in Docket No. E-2, Sub 926. Since
17 the approval of this program, the Company has spent millions of
18 dollars to implement this program to its full scale, installing upgraded
19 capacitor banks and regulators, as well as the necessary
20 communication equipment to ensure that this technology operates
21 when called. In this proceeding, the DSDR program costs constitute

1 approximately 19% of the projected 2020 program costs of DEP's
2 entire DSM/EE portfolio.

3 Since the implementation of DSDR, the Company has begun an
4 initiative that it calls the Grid Improvement Plan (GIP). The GIP is a
5 plan created in response to the Company's perceived customer
6 expectations and grid needs. This plan has been discussed by the
7 Company in many forums including the Company's 2018 Smart Grid
8 Technology Plan, filed on October 1, 2018, in Docket No. E-100, Sub
9 157.

10 In response to a Public Staff Data Request, the Company
11 acknowledged that, while being handled separately on an accounting
12 level, there are two activities that overlap between the Company's
13 DSDR program and the GIP. The first is the replacement of the end-
14 of-life Capacitor Bank Controls and associated replacement of the
15 2G/3G modems on DSDR line and substation devices with 4G
16 modems and 5G modems. The second is the replacement of end-of-
17 life Core WAN and Edge communication equipment. These efforts
18 are more fully described in the 2018 Smart Grid Technology Plan and
19 are also included as enterprise wide programs in the GIP.

20 The Company also acknowledged that these two overlapping
21 activities are important components of grid improvement, but are not

1 included in the cost of the GIP given that they are being reviewed
2 and evaluated in separate forums (i.e., the DSM/EE proceeding).

3 While implementation of the GIP has just begun, there is the potential
4 that DSDR work and GIP efforts as discussed in the Company's
5 Smart Grid Plan will overlap more and more. As the Company moves
6 forward with its new operational standards of the GIP, the Public Staff
7 will continue to observe and report on the degree of confluence of
8 the GIP and DSDR.

9 Cost Effectiveness

10 **Q. HOW IS THE COST EFFECTIVENESS OF DEP'S DSM AND EE**
11 **PROGRAMS EVALUATED?**

12 A. The Public Staff reviews the cost-effectiveness of the individual
13 DSM/EE programs when they are proposed for approval and then
14 annually in the rider proceedings. Pursuant to the Revised
15 Mechanism, cost-effectiveness is evaluated at both the program and
16 portfolio levels. The Public Staff reviews cost-effectiveness using the
17 Utility Cost (UC), TRC, Participant, and Ratepayer Impact Measure
18 (RIM) tests. Under each of these four tests, a result above 1.0
19 indicates that a program is cost-effective.

20 A program may be above 1.0 on one or more tests, and at the same
21 time below 1.0 on other tests. As called for in the Revised

1 Mechanism, the Public Staff places greater weight on the UC and
2 TRC tests.

3 The TRC test represents the combined utility and participant benefits
4 that will result from implementation of the program; a result greater
5 than 1.0 indicates that the benefits outweigh the costs of a program
6 to both the utility and the program's participants. A UC test result
7 greater than 1.0 means that the program is cost beneficial⁴ to the
8 utility (the overall system benefits are greater than the utility's costs,
9 including incentives paid to participants). The Participant test is used
10 to evaluate the benefits specific to those ratepayers who participate
11 in a program against the costs specific to those ratepayers. The RIM
12 test shows how ratepayers who do not participate in a program will
13 be impacted by the program.

14 **Q. HOW IS COST-EFFECTIVENESS EVALUATED IN DSM/EE RIDER**
15 **PROCEEDINGS?**

16 A. In each DSM/EE rider proceeding, DEP files the expected
17 cost-effectiveness of each program and the portfolio as a whole for
18 the upcoming rate period (Evans Exhibit 7). New DSM/EE programs
19 are approved under Commission Rule R8-68, which evaluates

⁴ "Cost beneficial" in this sense represents the net benefit achieved by avoiding the need to construct additional generation, transmission, and distribution facilities related to providing electric utility service, and/or avoiding energy generation from existing or new facilities or purchased power.

1 cost-effectiveness over a three to five year period using estimates of
2 participation and measure attributes that can be reasonably
3 expected over that period. The evaluations in DSM/EE rider
4 proceedings look more specifically at the actual performance of a
5 typical measure, providing an indication of what to expect in the next
6 year. Each year's rider filing is updated with the most current EM&V
7 data and other program performance data.

8 **Q. HOW DOES THE PUBLIC STAFF USE COST-EFFECTIVENESS IN**
9 **MAKING RECOMMENDATIONS REGARDING PROGRAMS IN**
10 **EACH RIDER?**

11 A. The Public Staff compares the cost-effectiveness test results in
12 previous DSM/EE proceedings to the current filing, and reviews any
13 trends of cost-effectiveness. The Public Staff applies Sections 23B-
14 D of the Revised Mechanism to develop its recommendation on
15 whether a program that is not cost effective or appears to be
16 struggling to maintain cost effectiveness should (1) continue as
17 currently implemented, (2) be monitored for signs of decreasing cost-
18 effectiveness combined with modifications to attempt to sustain cost-
19 effectiveness, or (3) be terminated.

20 **Q. HOW HAVE THE COST-EFFECTIVENESS TEST SCORES OF**
21 **THE PORTFOLIO CHANGED OVER THE YEARS?**

1 A. Many programs continue to be cost effective. However, over the
2 years, cost-effectiveness has been affected by changes in (1) the
3 valuing of savings (avoided costs benefits), (2) participation due to
4 measure cost and availability, and (3) technology that alter the
5 measure itself or its delivery. These factors continue to influence the
6 natural ebb and flow of cost effectiveness year-to-year illustrated in
7 each DSM/EE rider proceeding. These trends are shown in
8 Williamson Exhibit No. 1.

9 **Q. ARE THERE OTHER REASONS FOR THESE DIFFERENCES?**

10 A. In addition to the reasons listed above, as programs mature, baseline
11 standards change, or as avoided cost rates change, it becomes more
12 difficult for a program to produce cost-effective savings.

13 **Q. IN ADDITION TO THE TREND OF PROJECTED COST**
14 **EFFECTIVENESS, DOES THE PUBLIC STAFF LOOK AT HOW**
15 **THE PROGRAMS HAVE ACTUALLY PERFORMED?**

16 A. Yes. Recently, the Public Staff began reviewing how the portfolio of
17 programs have actually performed. Obtaining the data to perform this
18 review takes a number of years because of the time it takes to get
19 true actual and finalized results from a vintage year. Only after actual
20 participation numbers are obtained and EM&V is completed can the
21 Public Staff fully evaluate how a program has performed over a given

1 year. Williamson Exhibit 2 provides a table of the actual, year-end
2 TRC results for each program for 2016, 2017, and 2018⁵.

3 EM&V

4 **Q. HAVE YOU REVIEWED THE EM&V REPORTS FILED BY DEP?**

5 A. Yes. The Public Staff contracted the services of GDS Associates,
6 Inc. (GDS), to assist with review of EM&V. With GDS's assistance, I
7 have reviewed the EM&V reports filed in this proceeding as Evans
8 Exhibits A through I.

9 I also reviewed previous Commission orders to determine if DEP
10 complied with provisions regarding EM&V contained in those orders.
11 In the Sub 1174 DSM/EE rider proceeding for DEP, the Commission
12 approved the following Public Staff recommendations:

13 1. The program evaluator should include the basis for the
14 selected weighting methodology (weightings based on bulb
15 sales, measure savings, or other metric) when assessing
16 program savings. The program evaluator should also indicate
17 what other weighting methodologies were considered and

⁵ These values for the more recent years are still subject to being updated with the completion of new EM&V reports; however, for the purposes of this exhibit they provide a close approximation to the actual values. Blanks in the table indicate that a program is not being offered during that year.

1 why they were rejected, and why the selected methodology is
2 preferable;

3 2. The program evaluator should provide further clarity into the
4 sales of incentivized bulbs at dollar/discount stores to
5 determine the income levels of customers purchasing these
6 bulbs. This information would be useful in determining the
7 appropriate NTGR applicable to this category of sales. The
8 program evaluation in Evans Exhibit H asserts a NTGR of
9 1.00 for these sales, assuming that many of the sales are
10 made by low income customers, who typically would not
11 participate in the program without the incentive. Higher
12 income customers who also shop at dollar/discount stores
13 usually show NTGRs of less than 1.00. The volume of sales
14 from the dollar/discount stores and the potential impacts that
15 result justify my recommendation for further study; and,

16 3. The program evaluator should update its study on the
17 percentage of bulb sales to residential and non-residential
18 customers.

19 DEP has indicated that it will incorporate these recommendations
20 into future EM&Vs of the programs.

21 **Q. DO YOU HAVE ANY RECOMMENDATIONS BASED ON THE**
22 **EM&V REPORTS YOU REVIEWED?**

1 A. I have reviewed the testimony and exhibits of DEP witness Evans
2 concerning the EM&V of DEP's DSM and EE programs. Based upon
3 my review and upon the analysis performed by GDS, I do not have
4 any recommendations regarding the EM&V in this proceeding.

5 **Q. SHOULD THE EM&V REPORTS FILED IN THIS PROCEEDING BE**
6 **CONSIDERED COMPLETE?**

7 A. Yes. The reports filed in this proceeding, labeled as Evans Exhibits
8 A through I, should be considered complete.⁶

9 **Q. HAVE YOU CONFIRMED THAT THE COMPANY'S**
10 **CALCULATIONS INCORPORATE THE VERIFIED SAVINGS OF**
11 **THE VARIOUS EM&V REPORTS?**

12 A. Yes. As in previous cost recovery proceedings, I was able, through
13 sampling, to verify that the changes to program impacts and
14 participation were appropriately incorporated into the rider
15 calculations for each DSM and EE program, as well as the actual
16 participation and impacts calculated with EM&V data. I reviewed: (1)
17 workpapers provided in response to data requests; (2) a sampling of
18 the EE programs; and (3) Evans Exhibit 1, which incorporates data
19 from various EM&V studies. I also met with DEP personnel to review
20 the calculations, EM&V, DSMore, and other data related to the

⁶ While the EM&V reports should be considered complete, the Public Staff reserves the right to revisit them should it become aware of issues or mistakes in the reports.

1 program/measure participation and impacts. Based on my review of
2 this data, I believe DEP has appropriately incorporated the findings
3 from EM&V studies and annual participation into its rider calculations
4 consistent with Commission orders and the Revised Mechanism.

5 **Q. WERE THERE ANY EM&V REPORTS THAT WERE CARRIED**
6 **OVER FROM LAST YEAR'S RIDER PROCEEDING AND LEFT**
7 **OPEN FOR REVISION?**

8 A. Yes. In the Sub 1174 proceeding in 2018, the Public Staff
9 recommended that the EM&V report for the My Home Energy Report
10 program (Evans Exhibit I in Sub 1174) be conditionally accepted until
11 the Public Staff completed its review.

12 The review of the My Home Energy Report has been completed and
13 the Public Staff, based on discussions with the Company, GDS
14 Associates and the EM&V report's evaluator Nexant, concludes that
15 this report should be considered complete. The Public Staff was able
16 to resolve the inconsistencies that delayed the review. In light of the
17 significant contribution of the MyHER program to the Company's
18 portfolio, the Public Staff reviewed whether the appropriate level of
19 rigor was applied to the MyHER EM&V and whether the EM&V
20 provided a thorough analysis of the savings; the Public Staff, with the
21 assistance of its consultant determined that the EM&V in question
22 satisfied these standards. The Public Staff will continue to work with

1 the Company and the EM&V consultants to ensure that the
2 necessary rigor is maintained for future EM&V efforts of the MyHER
3 program.

4 **Q. ARE THERE ANY OTHER ITEMS RELATED TO ANY OF THE**
5 **COMPANY'S EM&V REPORT ACTIVITIES THAT NEED**
6 **DISCUSSION?**

7 A. Yes. The Company's third party evaluator Navigant is currently
8 preparing an EM&V report for the Multi-Family EE program. During
9 its initial review for this new report, Navigant discovered an error in
10 the assumptions applied to the pipe wrap measure that were made
11 in the previous report, filed as Exhibit B in Docket No. E-2, Sub 1130.

12 This error was identified as an inconsistency with the measure units
13 being applied. Normally, a measure is defined as one unit (i.e. one
14 HVAC unit or one faucet aerator). However, for the pipe wrap
15 measure, the measure unit was erroneously calculated on a "per
16 foot" basis, rather than a "per measure" basis.⁷ This overstated the
17 savings by a factor of four.

18 One of the Public Staff's recommendations for this program in Sub
19 1130, while not specifically tied to the length of pipe wrap used,

⁷ Four feet is the standard unit of measurement for this EE measure.

1 compounded the error described above by incorporating the
2 erroneous assumption of pipe wrap length in its impacts equation.

3 The original error as compounded by the incorporation of the Public
4 Staff's recommendation resulted in savings that were approximately
5 four times the actual savings impacts.

6 Navigant and the Company have stated that the next EM&V report
7 for this program, which will apply to both DEC and DEP, will
8 incorporate this updated impact assumption.

9 **Q. WHAT WAS DONE IN THIS PROCEEDING TO CORRECT THIS**
10 **EM&V ERROR?**

11 A. Following discussions, the Company and the Public Staff determined
12 that it would be appropriate to apply these updated savings impacts
13 through the end of the previous EM&V report. As such, the Company
14 has applied a decrement of \$300,153 to the EMF, which is the
15 cumulative dollar impact for this program measure stretching back to
16 June 28, 2017,⁸ which is consistent with the terms of the Mechanism
17 regarding the application of subsequent EM&V efforts.

18 **Q. DO YOU BELIEVE A SIMILAR ISSUE INVOLVING**
19 **MEASUREMENT UNITS IS LIKELY TO REOCCUR?**

⁸ The EM&V report was revised on June 27, 2017, to incorporate the changes originally proposed by the Public Staff.

1 A. I believe that this issue is a onetime and unique situation. The vast
2 majority of the measures used by the Company in their programs are
3 measured in units of one. This measure appears to be the only
4 measure that is measured differently.

5 **Q. DOES THIS CONCLUDE YOUR TESTIMONY?**

6 A. Yes.

APPENDIX A**QUALIFICATIONS AND EXPERIENCE**

DAVID M. WILLIAMSON

I am a 2014 graduate of North Carolina State University with a Bachelor of Science Degree in Electrical Engineering. I began my employment with the Public Staff's Electric Division in March of 2015. My current responsibilities within the Electric Division include reviewing applications and making recommendations for certificates of public convenience and necessity of small power producers, master meters, and resale of electric service; reviewing applications and making recommendations on transmission proposals for certificates of environmental compatibility and public convenience and necessity; and also interpreting and applying utility service rules and regulations.

My primary responsibility within the Public Staff is reviewing and making recommendations on DSM/EE filings for initial program approval, program modifications, EM&V evaluations, and on-going program performance of the portfolio of programs of Duke Energy Carolinas, LLC (DEC), Duke Energy Progress, LLC (DEP), and Dominion Energy North Carolina (DENC). I filed an affidavit in DEP's 2016 and 2017 DSM/EE rider proceedings in Docket No. E-2, Subs 1108 and 1174, respectively, and I have also filed testimony in various DEC, DEP, and DENC's DSM/EE rider proceedings.

1 BY MS. EDMONDSON:

2 Q Mr. Williamson, would you please give your
3 summary?

4 (WHEREUPON, the summary of DAVID
5 M. WILLIAMSON is copied into the
6 record as read from the witness
7 stand.)
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

Summary of Testimony**David M. Williamson****Docket No. E-2, Sub 1206**

My testimony will address several topics, which includes a review of the performance and cost-effectiveness of Duke Energy Progress' portfolio of DSM and EE programs, EE lighting trends and their impact on the Company's lighting programs, and a review of the Company's EM&V reports filed in this proceeding.

I reviewed Duke Energy Progress' portfolio of 19 approved DSM and EE programs. Each of these approved programs is eligible for cost recovery according to the Commission's rules and the cost recovery mechanism approved in Docket No. E-2, Sub 931, and as revised in Sub 1145. My testimony highlights the perspectives used to evaluate cost-effectiveness in the annual rider proceedings. I review trends of cost-effectiveness to develop an expectation of the program's performance, costs and measure life benefits in the upcoming rate period, as well as its ongoing cost-effectiveness. I rely on this trend, as illustrated in my exhibit, to develop my recommendations concerning whether a program should be continued, modified, or terminated. Several factors such as changes in participation, standards, or avoided costs also impact cost-effectiveness.

General Service Lighting technology continues to be leaning toward the standards of EISA 2020 that should make LED the standard lighting technology and baseline for the residential market. However, on February 11, 2019, the Department of Energy (DOE) issued a notice of proposed rulemaking and request for comment that potentially could withdraw the currently approved language for

the GSL and GSIL bulb types. After the filing of my testimony, the DOE issued a final rule on September 5, 2019, to be effective October 7, 2019, withdrawing these definitions of GSL and GSIL bulbs that were to become effective in 2020.¹

Market transformation is difficult to determine because the metrics associated with market transformation are subjective, but as technologies become even more energy-efficient - costs decrease, and consumer acceptance improves - adoption of EE should become more routine, at which point there is "market transformation". The Company has acknowledged this trend and has been working to minimize the impacts of EISA 2020. When looking at the list of measure offerings for each program, the number of non-specialty LED bulbs has been greatly reduced since the last rider proceeding.

Regardless of whether the currently scheduled EISA 2020 standard goes into effect, taking into consideration the Company's efforts on migrating to primarily specialty LED bulbs, and barring any updates, withdrawals, or new technologies for lighting, it appears that the North Carolina lighting market is adopting EE lighting technologies as a baseline. Therefore, an incentive for non-specialty LED bulbs will no longer be needed after Vintage 2020.

While I did not have any concerns with the performance of the DSDR program, I do note the potential for overlap of DSDR and the Company's Grid

¹ <https://www.federalregister.gov/documents/2019/09/05/2019-18940/energy-conservation-program-definition-for-general-service-lamps>

Improvement Plan. The Public Staff will continue to monitor the performance of the DSDR program.

Regarding the EM&V reports filed by DEP in previous DSM/EE rider proceedings, I believe the Company has complied with the Public Staff's earlier recommendations concerning EM&V, as ordered by the Commission. The Public Staff generally agrees with the findings of the EM&V reports filed in this proceeding. With respect to this proceeding, the EM&V reports filed as Evans Exhibits A through I should be considered to be complete for purposes of this proceeding.

In the Sub 1174 proceeding, the report for the My Home Energy Report (MyHER) program was conditionally accepted until the Public Staff completed its review. Due to the significant contribution of the MyHER program to the Company's portfolio, the Public Staff believes that the level of rigor associated with the EM&V review warrants a thorough analysis of the savings. The evaluation of the MyHER report has been completed, and the Public Staff concludes that this report should be considered complete.

In preparation for an upcoming EM&V report for the Multi-Family EE program, the Company acknowledged an error in the assumptions applied to the pipe wrap measure. The Public Staff and the Company determined that it would be appropriate to apply these updated savings impacts through the end of the previous report.

This concludes my summary.

1 MS. EDMONDSON: The witness is available for
2 cross examination.

3 COMMISSIONER BROWN-BLAND: Any cross for
4 this witness?

5 MS. FENTRESS: No cross.

6 COMMISSIONER BROWN-BLAND: All right.
7 Questions from the Commission?

8 EXAMINATION BY COMMISSIONER BROWN-BLAND:

9 Q Mr. Williamson, I have just a few. From the
10 Public Staff's perspective as participants in the
11 DSM/EE Collaborative, are there changes to the
12 Collaborative's structure or in the process or
13 procedure that the Public Staff has thought about
14 might be an improvement to the process?

15 A I've been participating in the Collaborative
16 since I joined the Staff in 2015, so my first one
17 was the summer of 2015 and back then the
18 Collaborative meeting, it was relatively small.
19 But what I'm getting at is since then there have
20 been a lot more participants coming to the
21 Collaborative meeting, and when I first started
22 going to the meetings, they were very
23 informational. That was the design and intent of
24 the Collaborative meeting was to be an

1 informational type forum where the intervenors
2 can get a better understanding of how the
3 programs are performing in between rider
4 proceedings. So back then we were meeting four
5 times a year and now we're meeting every other
6 month.

7 But over the years of
8 participating there have been a couple of
9 different shifts in how the Collaborative has
10 operated. Like I said, there's been a lot more
11 parties that have joined the Collaborative and
12 like we've heard today from Witness Evans and
13 Witness Forest Bradley-Wright it -- there has
14 been some evolution that has occurred. There has
15 been a lot more involvement on behalf of the
16 parties. Before where it would just be, like I
17 said, informational, an update of how the -- the
18 quarterly updates of how the programs are
19 performing, now we're getting updates on current
20 issues that are going on, roadblocks, milestones.
21 The Company is getting input from the intervenors
22 that do participate on potential -- potential
23 avenues that they could take advantage of that
24 they may or may not have thought of from the Duke

1 representative side.

2 Q And would you -- would you say -- you used the
3 word evolution. Would you say the evolution has
4 been an improvement?

5 A It has. Like I said, it was more
6 informational-based, PowerPoint-type presentation
7 and now we get into the discussions of where
8 improvement in programs can happen, the types of
9 outreach that can be performed. There's a lot
10 more data that has been over the past year, year
11 and a half that has been provided early on.
12 They've -- the Company has even started -- this
13 is in conjunction to what we've heard previous,
14 but the -- Mr. Evans and his associates have been
15 setting up phone calls in between Collaborative
16 meetings to get a better understanding of where
17 -- where the intervenors stand on what they're
18 wanting to see.

19 Q With regard to some of the recommendations from
20 Witness Bradley-Wright, does the Public Staff see
21 any of them as being beneficial or -- or have a
22 view that some are unnecessary or any views?
23 What view does the Public Staff have about that
24 testimony?

1 A Generally, in the Collaborative Jack Floyd and I
2 are the usual Public Staff representatives and we
3 -- we're generally there to offer guidance to the
4 intervenors that are proposing. The Utilities
5 will offer a basis, which is what we've heard
6 Witness Evans talk about how they're proposing a
7 new program and they get -- they essentially do
8 all the legwork to perform -- to get a basis of
9 what needs to happen, and then it will come to
10 the Collaborative and the Collaborative will talk
11 about enhancements that could go on, but there
12 are certain things that -- they operate on a
13 time, like a timeline. I believe Bradley-Wright
14 talked about getting a day notice on something,
15 but unfortunately I think that's just how
16 business works. It's -- it's a situation where
17 they -- time is against them and if you miss your
18 -- your window, you have to wait even longer.
19 But I'm not sure if I answered your question.

20 Q Did -- yes, you did. Did you find -- with regard
21 to Witness Bradley-Wright's testimony and Witness
22 Evans' rebuttal testimony, did you find anything
23 in there that -- that you took issue with?

24 A No, ma'am.

1 Q All right. In your testimony you discuss the
2 changes -- let me see -- in the regulation of the
3 lighting. And are there particular indicators or
4 factors that the Company and the Commission
5 should look for to determine whether or how long
6 the incentive should continue? I realize that
7 you recommend that we probably wouldn't need them
8 beyond Vintage 2020.

9 A So, in my summary I acknowledge that there was a
10 rollback of this rule and, however, there was
11 potential anticipation for that. But my
12 testimony I -- the past couple of years we've
13 been talking about lighting in numerous dockets
14 and we -- the Public Staff believes that North
15 Carolina has been moving at its own pace
16 regardless of what the federal government has
17 established.

18 I, in my recommendations, use the
19 Company's 20 -- it was an EM&V report for their
20 lighting programs that happened. One was
21 handled -- the Duke Progress one was handled in
22 last year's Duke Progress rider and the Duke
23 Carolina's one was handled this previous rider
24 proceeding. It was a joint report. And in that

1 report it covered the time span of all of 2016
2 and the first quarter of 2017. And one of the
3 things that I honed in on was the sales data,
4 because the way that they handled their
5 net-to-gross-type analysis it kind of takes in a
6 bunch of different pieces, but I honed in
7 specifically on the sales data, which is
8 essentially the customers themselves that are
9 buying these bulbs and the LED category basically
10 said that 90 percent of the people that were
11 going into buy these bulbs would have bought it
12 without an incentive.

13 Q So that's the kind of -- that the kind of
14 indicator that you've used to make your
15 recommendation --

16 A Yes, ma'am.

17 Q -- and that's what you'd recommend we look at as
18 well?

19 A Yes, ma'am.

20 Q All right. And you provided some testimony about
21 the DSDR program and the Grid Improvement Plan
22 stating to overlap. And it's my recollection
23 that the accounting for DSDR that replaced the
24 Legacy distribution equipment has -- is complex,

1 has been complex. And I'm wondering having read
2 your testimony if the Public Staff has any
3 insights about how the Commission can best
4 address a transition from the DSDR cost to the
5 Grid Improvement cost if that becomes the
6 appropriate solution?

7 A Could you --

8 Q I realize that you recommend or you indicated to
9 us that the Public Staff would be observing
10 and -- and just watching going forward, but I'm
11 wondering if you have recommendations or insights
12 about how the Commission could address this
13 transition and -- and deal with this overlap.

14 A At this time I don't have any. Like I said in my
15 testimony, it's -- it's merely an observation in
16 the works. Like I said, the Grid Improvement
17 Plan is still early on in its stages.

18 Q And do -- do you foresee -- where -- I guess a
19 better question is where do you foresee the
20 overlap between the two in terms of the equipment
21 that's involved?

22 A Currently in -- through a data request from the
23 Company -- data response from the Company right
24 now it's the communication equipment that's being

1 installed for the DSDR program to operate
2 whenever it's called on. Essentially there's a
3 big change going on that requires a lot of
4 equipment to be upgraded from 2 and 3G to 4 and
5 5G. Essentially they're shutting down 2 and 3G
6 is my understanding.

7 Q So does the Public Staff know at this point in
8 time how we will separate out, whether we're
9 dealing with -- whether it's -- it's a part or
10 continuing to be a part of the DSDR or if it's
11 part of the standard system or just the
12 appropriateness of it still being part of the
13 rider?

14 A As far as the dollars, it would be better
15 question for an accounting witness, but my
16 understanding is that there's separate accounting
17 being set up to handle the distinction between
18 the two.

19 Q So the equipment is still being separated in --
20 and it's something that the Public Staff is able
21 to -- to review?

22 A We're going to try to look into the distinctions
23 between the two. Like I said, it was -- it was
24 a -- this is still a very early stage type

1 observation. We're just trying to get an
2 understanding of where and when they may or may
3 not overlap.

4 Q Because it's my recollection from some time ago
5 that all kinds of recommendations had come and we
6 ultimately decided on a proportionality, but it
7 was even at one point thought we might go forward
8 and mark different pieces of equipment, this is
9 DSDR, this is not, and we decided against that,
10 but -- so your testimony just raised a concern of
11 how do we continue to handle that appropriately
12 going -- going forward.

13 A Yeah.

14 Q So it's good to know the Public Staff is
15 continuing to be observant on that. And then
16 lastly, based on the letter that was filed by the
17 Public Staff today, it's our understanding that
18 the Company's supplemental testimony adequately
19 addressed the DSM/EE rate adjustments previously
20 recommended by the Public Staff; is that right?

21 A Yes, ma'am.

22 Q All right.

23 COMMISSIONER BROWN-BLAND: Commissioner
24 Clodfelter?

1 EXAMINATION BY COMMISSIONER CLODFELTER:

2 Q Commissioner Brown-Bland touched on the topic of
3 principal interest to me, but I want to put a
4 sharper point on it a little bit. So by the time
5 we get to the next consideration of the Grid
6 Improvement program, whether that shows up in a
7 general rate case or whether it shows up as part
8 of the IRP proceedings and in our continuing
9 exploration of the Integrated Systems Operating
10 Planning effort, I will be asking at those points
11 what is the Public Staff's position on whether or
12 not we ought to pull the DSDR component out of
13 this rider and move it into another docket. So
14 just to give you a fair -- a fair warning so all
15 of y'all can talk about it. I will be asking
16 that question the next time we talk about the
17 Grid Improvement Plan or the --

18 A Understood.

19 Q -- or the ISOP effort.

20 A Understood.

21 Q Okay.

22 COMMISSIONER BROWN-BLAND: All right. Are
23 there questions on the Commission's questions?

24 MS. FENTRESS: None from Duke.

1 MR. NEAL: No questions, Commissioner
2 Brown-Bland.

3 MR. PAGE: No questions.

4 MS. EDMONDSON: I don't have any questions.

5 COMMISSIONER BROWN-BLAND: All right. Thank
6 you, Mr. Williamson. Did we admit?

7 MS. EDMONDSON: Yes. I would ask that his
8 two exhibits be admitted.

9 COMMISSIONER BROWN-BLAND: All right.
10 Without objection, that motion will be allowed.

11 (WHEREUPON, WILLIAMSON Exhibits 1
12 and 2 are received into evidence.)

13 COMMISSIONER BROWN-BLAND: Mr. Williamson,
14 you'll be excused. Thank you.

15 (The witness is excused)

16 MS. EDMONDSON: I think, Commissioner
17 Brown-Bland, I had the -- the audit of the program
18 cost. We are down to a few data responses that we are
19 waiting for from the Company and we expect it to be
20 completed in the -- I hope in the next two weeks. So
21 if we could hold the record open and we will file a
22 letter when we are --

23 COMMISSIONER BROWN-BLAND: Do you anticipate
24 you will file the letter in the next two weeks maybe?

1 MS. EDMONDSON: I need to confirm. I don't
2 see Mr. Maness in here.

3 COMMISSIONER BROWN-BLAND: Maybe a little
4 longer?

5 MS. EDMONDSON: I don't want to over commit,
6 but I -- we will work as quickly as possible. I know
7 we're going to get the responses in a week, and then I
8 don't know how fast the accountants will be able to
9 review them.

10 COMMISSIONER BROWN-BLAND: So the Commission
11 will hold the record open until we receive that
12 letter. But having said that, are we able still to --
13 do you need -- well, do we need to wait and say 30
14 days from having received your letter?

15 MS. EDMONDSON: No. I think it can be 30
16 days from the transcript.

17 COMMISSIONER BROWN-BLAND: From the receipt
18 of the transcript?

19 MS. EDMONDSON: Yes.

20 COMMISSIONER BROWN-BLAND: All right. So
21 ordered. Is there any other matter that needs to come
22 before the Commission in this docket?

23 (No response)

24 There being none, this matter will be

1 adjourned.

2 (The hearing was adjourned)

3 _____

4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

C E R T I F I C A T E

I, KIM T. MITCHELL, DO HEREBY CERTIFY that
the Proceedings in the above-captioned matter were
taken before me, that I did report in stenographic
shorthand the Proceedings set forth herein, and the
foregoing pages are a true and correct transcription
to the best of my ability.



Kim T. Mitchell
Court Reporter II